

1 BEFORE THE ARIZONA POWER PLANT LS-448

2 AND TRANSMISSION LINE SITING COMMITTEE

3

4 IN THE MATTER OF THE) DOCKET NO.
 4 APPLICATION OF CG APACHE COUNTY) L-21364A-25-0198-00250
 WIND LLC AND CG APACHE COUNTY)
 5 SOLAR LLC, IN CONFORMANCE WITH) LS CASE NO. 250
 THE REQUIREMENTS OF ARIZONA)
 6 REVISED STATUTES §§ 40-360, ET)
 SEQ., FOR A CERTIFICATE OF)
 7 ENVIRONMENTAL COMPATIBILITY)
 AUTHORIZING THE CONSTRUCTION OF)
 8 THE LAVA RUN INTERCONNECTION) EVIDENTIARY HEARING
 PROJECT, A 345-KILOVOLT (KV))
 9 ALTERNATING CURRENT GENERATION)
 TIE TRANSMISSION LINE, WITH)
 10 ASSOCIATED INTERCONNECTION)
 FACILITIES, WITHIN APACHE)
 11 COUNTY, ARIZONA.)
 12 _____)

13

At: Pinetop, Arizona

14

Date: October 20, 2025

15

Filed: October 28, 2025

16

17

REPORTER'S TRANSCRIPT OF PROCEEDINGS

18

VOLUME I
(Pages 1 through 190)

19

20

21

22

GLENNIE REPORTING SERVICES, LLC
 Court Reporting, Video & Videoconferencing
 1555 East Orangewood Avenue, Phoenix, AZ 85020
 602.266.6535 admin@glennie-reporting.com

23

24

25

By: Jennifer Honn, RPR
Arizona CR No. 50558

1	VOLUME I	October 20, 2025	Pages 1 to 190
	VOLUME II	October 21, 2025	Pages 191 to 322
2	VOLUME III	October 22, 2025	Pages 323 to 610
	VOLUME IV	October 23, 2025	Pages 611 to 767

3

4

5

INDEX TO PROCEEDINGS

6	ITEM	PAGE
7	Opening Statement of Mr. Derstine	8
8	Presentation of Virtual Tour	83
9	Public Comment Session	141
10	Additional Public Comment Session	264
11	Closing Statement of Mr. Derstine	655
12	Deliberations	667
13	Vote	754

14

15

16

INDEX TO THE TOUR

17	STOP	PAGE
18	1	201
	2	211
19	3	230
	4	251

20

21

22

23

24

25

1 INDEX TO EXAMINATIONS

2	WITNESSES	PAGE
3	Victoria Casteel, Jeremy Casteel, Trey Patton, and Derek Rieman - for the Applicants	
4	Direct Examination By Mr. Derstine	17
5	Rebecca Turner - for the Applicants	
6	Direct Examination By Mr. Derstine	381
7	Victoria Casteel, Jeremy Casteel, Trey Patton, and Derek Rieman (Continued) - for the Applicants	
8	Direct Examination By Mr. Derstine (Continued)	425

10
11
12
13
14

15 INDEX TO EXHIBITS

16	NO.	DESCRIPTION	IDENTIFIED	ADMITTED
17	CG-1	Application For Certificate of Environmental Compatibility (CEC) (filed September 5, 2025) - Page One	18	572
18				
19	CG-2	Witness Summary of Trey Patton	571	572
20				
21	CG-3	Witness Summary of Derek Rieman	571	572
22	CG-4	Witness Summary of Rebecca Turner	571	572
23				
24	CG-5	Witness Summary of Jeremy Casteel	571	572

25 //

INDEX TO EXHIBITS				
NO.	DESCRIPTION	IDENTIFIED	ADMITTED	
CG-6	Witness Summary of Victoria Casteel	571	572	
CG-7	Witness Testimony Slides	18	572	
CG-8	Proposed CEC with Map and Corridor Description	578	572	
CG-9	Affidavits of Publication of Notice of Hearing	373	572	
CG-10	Proof of Delivery of Application for Certificate of Environmental Compatibility to Public Locations	374	572	
CG-11	Proof of Website Postings	343	572	
CG-12	Proof of Delivery to Affected Jurisdictions of the Notice of Hearing	374	572	
CG-13	Proof of Posting: Photos of Posted Notice of Hearing Signs and Locations Posted	376	572	
CG-14	Social Media Posting with Hearing Information	375	572	
CG-15	Public Outreach Summary as of October 10, 2025	364	572	
CG-16	Newsletter Announcing Hearing Mailed September 11, 2025	344	572	
CG-17	Tribal Nations Outreach	365	572	
CG-18	Route Tour Itinerary and Map	104	572	
CG-19	August 29, 2025 Correspondence with State Historic Preservation Office (SHPO)	549	572	
//				

INDEX TO EXHIBITS				
1	2	3	4	5
6	7	8	9	10
11	12	13	14	15
16	17	18	19	20
21	22	23	24	25
NO.	DESCRIPTION	IDENTIFIED	ADMITTED	
CG-20	October 14, 2025 Arizona Corporation Commission Staff's Letter	381	572	
CG-21	Galvanized Simulations KOP 2 and KOP 3	521	572	
CG-22	Topographic Map	262	572	
CG-23	ASLD Additional Conditions to Right of Way Form	306	572	
CG-24	Draft Cooperation Agreement with Apache Natural Resource Conservation District (Apache NRCDC)	329	572	
CG-25	Game Management Units	618	635	
CG-26	Lava Exhibit A Map - updated	635	654	
CG-27	Exhibit B Biological Minimization	635	654	
KG-1	Notice of Filing Limited Appearance of Karen Glennon	8	572	
LW-1	Notice of Filing Linda Weiland's Limited Appearance	8	572	
MA-1	Michael Anable's Limited Appearance	8	572	
MB-1	Notice of Filing Monica Boehning's Limited Appearance	8	572	
TE-1	Notice of Filing Town of Eagar's Limited Appearance	8	572	
CHMN-1	Proposed Form of CEC	667	For Reference	
CHMN-2	CEC with Edits	668	For Reference	

1 BE IT REMEMBERED that the above-entitled and
2 numbered matter came on regularly to be heard before the
3 Arizona Power Plant and Transmission Line Siting
4 Committee at Pinetop, Arizona, commencing at 1:01 p.m.
5 on October 20, 2025.

6

7 BEFORE: ADAM STAFFORD, Chairman

8 MICHAEL COMSTOCK, Arizona Corporation Commission
9 LEONARD DRAGO, Department of Environmental Quality
10 DAVID FRENCH, Arizona Department of Water Resources
(via videoconference)
11 NICOLE HILL, Governor's Office of Energy Policy
R. DAVID KRYDER, Agricultural Interests
12 SAL DICICCIO, Incorporated Cities and Towns
ROMAN FONTES, Counties
(via videoconference)
13 DOUGLAS FANT, General Public
GABRIELA SAUCEDO MERCER, General Public

14

15 APPEARANCES:

16 For the Applicant:

17 Matt Derstine
SNELL & WILMER
18 One East Washington Street
Suite 2700
19 Phoenix, Arizona 85004

20

21

22

23

24

25

1 CHMN STAFFORD: Let's go on the record.

2 Now is the time set for the hearing on the
3 application of CG Apache County Wind, LLC, and CG Apache
4 County Solar, LLC, for a certificate of environmental
5 compatibility, Docket No. L-21364A-25-0198-00250 and
6 Docket No. 21365A-25-0198-00250, for Line Siting Case
7 250.

8 Let's take roll call of the members.

9 Member Kryder.

10 MEMBER KRYDER: Here.

11 CHMN STAFFORD: Member Mercer.

12 MEMBER MERCER: Present.

13 CHMN STAFFORD: Member Comstock.

14 MEMBER COMSTOCK: Present.

15 CHMN STAFFORD: Member Fant.

16 MEMBER FANT: Here.

17 CHMN STAFFORD: Member Hill.

18 MEMBER HILL: Present.

19 CHMN STAFFORD: Member Drago.

20 MEMBER DRAGO: Present.

21 CHMN STAFFORD: Member DiCiccio.

22 MEMBER DICICCIO: Here.

23 CHMN STAFFORD: And online I see Member
24 French.

25 MEMBER FRENCH: Here.

1 CHMN STAFFORD: And Member Fontes.

2 MEMBER FONTES: Here.

3 CHMN STAFFORD: All right. I would
4 admonish the parties and the public that the ex parte
5 rule is in effect and that you are not to communicate
6 with the members of the committee about the merits of the
7 application while it is pending.

8 Let's take appearances of the parties.
9 Mr. Derstine.

10 MR. DERSTINE: Good afternoon,
11 Mr. Chairman, members of the committee. Matt Derstine,
12 appearing on behalf of the applicants.

13 CHMN STAFFORD: All right. There have been
14 no notices of intent to be a party filed in this matter.
15 We have, however, received five limited appearance
16 statements.

17 Appearance statements -- limited appearance
18 statement have been received from the Town of Eagar,
19 Linda Weiland, Karen Glennon, Michael Anable and Monica
20 Boehning.

21 Those been marked as Exhibits KG-1, LW-1,
22 MA-1, MB-1, and TE-1.

23 Mr. Derstine, would you like to make an
24 opening statement?

25 MR. DERSTINE: Yes. Thank you.

1 Let me start by saying thank you. I know
2 for the members who are here in the hearing room, whether
3 you drove up from Phoenix in the valley or drove up from
4 Tucson or Green Valley, we appreciate you making that
5 drive and certainly is beautiful up here, but it takes a
6 commitment of time and we greatly appreciate your
7 willingness to appear for the Lava Run Interconnection
8 Project application hearing.

9 And for those members who are appearing
10 virtually, we also appreciate you attending and being
11 here.

12 One of the first questions I had about this
13 project was why is it called the Lava Run Interconnection
14 Project. So let me answer that question if you had the
15 same as I did.

16 The Lava Run Interconnection Project name
17 refers to the Springerville Volcanic Field. When you
18 have a large number of volcanos together clustered in an
19 area, they call that a volcanic field.

20 The Springerville volcanic field is located
21 between Show Low and Springerville, as you can see on the
22 map here on the -- or maybe see on the map here on the
23 right screen here in the hearing room. It covers 12,000
24 square miles.

25 It's an extremely large area. It covers

1 essentially that whole area between Show Low and
2 Springerville, and the land ownership of the
3 Springerville volcanic field is a mix of state land, land
4 that's managed by the Bureau of Land Management, and
5 private land ownership.

6 The interconnection project crosses a
7 portion of the Springerville volcanic field. On the
8 screen, right screen here in the hearing room you can see
9 two photos of the mounds off in the distance, which are
10 older volcanos. And then what the -- what the landscape
11 looks like today as you might travel along US 60 or any
12 of the unimproved or dirt roads that are used for --
13 largely for the grazing lessees who manage or run cattle
14 in those areas.

15 There are other volcanic fields in northern
16 Arizona. One of the other notable fields is the San
17 Francisco volcanic field closer to Flagstaff.

18 So that's the name. So what's the project?

19 The Lava Run Interconnection Project is a
20 new 345kV generation tie line. It extends approximately
21 27 miles. The line will connect the Lava Run Wind
22 project here on the western side of the map you're seeing
23 here on the right screen in the hearing room.

24 And then it extends through the two wind
25 project substations, continues on to the east where it

1 will connect with the two project substations for the
2 solar project, and then interconnect at the Springerville
3 Substation which is adjacent to the Springerville
4 Generating Station.

5 The gen-tie line, the interconnection
6 project will be single circuit for the vast majority of
7 the line, approximately 26 miles until it reaches the
8 solar project where it will add a second 345kV circuit
9 that will carry the output, the energy from the solar
10 project.

11 The line is going to be constructed almost
12 exclusively on state trust land. Except for then, I
13 guess -- well, I think exclusively on state trust land.
14 The solar project sits on a portion of private land at
15 the end of the line, but as I understand it, and our
16 witnesses will correct me if I've got it wrong, that the
17 gen-tie line is almost exclusively on state trust land.

18 As you saw from the photos of the
19 Springerville volcanic field, the project is being sited
20 on rural, largely vacant land that's used for grazing.
21 Within the project area as shown on the right screen
22 here, there are eight lessees that hold nine grazing
23 leases with ASLD.

24 And the applicants have been coordinating
25 with those grazing lessees and are negotiating agreements

1 to ensure that their grazing operations are not impacted
2 by the project.

3 Importantly, the closest residence to the
4 gen-tie, to the Lava Run Interconnection Project, is
5 about 1.8 miles away. And that's one private land
6 holding that sits generally in this area. It will come
7 through on other maps. And then they -- the other
8 residences are going to be approximately four miles away
9 from our -- our transmission line.

10 In terms of the environmental studies that
11 were performed that Ms. Casteel is going to testify to,
12 the impacts to ESA-listed species and other special
13 status plants and animals will be minor and will be
14 minimized by the use of mitigation measures. And we'll
15 cover those mitigation measures in the testimony. There
16 is no designated or proposed critical habitats or
17 wilderness areas within the study area for our project.

18 So that's the project. I was hesitant to
19 talk about your -- the framework for your analysis
20 because I think you know the statute better than I do.

21 At the same time, maybe for the benefit of
22 the public and others, I'll simply note that this
23 committee's jurisdiction is to analyze the transmission
24 line that we're presenting to you in our CEC application
25 under the various factors that are identified in

1 ARS 40-360.06. You know those factors, you cover them in
2 every hearing that you -- you're sitting and considering
3 a CEC application. I don't need to go through them here.

4 And these are the same factors that this
5 committee has used to and applied to every CEC
6 application.

7 The language of the statute hasn't changed
8 with regard to the 06 factors. And the analysis doesn't
9 change based on what's at the end of the line. And
10 whether it's a natural gas generating plant, whether it's
11 a nuclear plant, whether it's a wind project or a solar
12 project, your analysis with regard to the transmission
13 line application that's before you is the same.

14 Public comment is a critical and important
15 part of every case. It's an important part of this case
16 and we've received a lot of it.

17 I'm sure the members of the committee have
18 seen the -- some of the written public comment that's
19 been filed, and I anticipate that this evening we'll hear
20 a fair amount of public comment here in the room and/or
21 from folks who are going to appear virtually.

22 But I think what's important to, maybe for
23 the public to understand -- I know this committee
24 understands -- is that this proceeding is not a
25 referendum on wind energy, on the Lava Run Wind project,

1 this proceeding is for this committee to hear the
2 testimony, to hear the evidence on the various aspects,
3 the resources that have been studied, the nature of the
4 project, and then to make a determination on our
5 application.

6 And at the end of the day or at the end of
7 this hearing, I don't think we're going to get through it
8 today, but at the end of this hearing we'll ask that you
9 grant us a CEC based on the record, the testimony, and
10 the evidence.

11 So thank you again for being here, for
12 attending this hearing, and we look forward to presenting
13 our case to you.

14 CHMN STAFFORD: Thank you, Mr. Derstine.

15 Now, I understand you intend to present
16 your witnesses as a panel.

17 MR. DERSTINE: Yes, Mr. Chairman. We have
18 four witnesses who are here in the hearing room. There
19 will be an additional witness who will appear virtually,
20 that's Ms. Turner.

21 We'll -- I'll make arrangements with you in
22 terms with you in terms of coordinating the timing of her
23 testimony. Ms. Turner's testimony will focus on the
24 transmission studies that were performed for this
25 project, and address the letter that came from

1 Corporation Commission Staff.

2 So we're looking to, I think, depending on
3 her schedule and your schedule, call her either tomorrow
4 afternoon -- probably tomorrow afternoon we'll try to fit
5 her in.

6 But for today, we have the four witnesses
7 who are in the hearing room, and happy to have you. Do
8 you want me to call them and then you'll swear them in?

9 CHMN STAFFORD: Yes, indeed. Thank you.

10 MR. DERSTINE: All right. We'll call our
11 witness panel. Our first witness is going to be
12 Mr. Derek Rieman. Mr. Rieman has been correcting me in
13 my pronunciation of his last name. And it's important to
14 understand that it's the German pronunciation and not the
15 butchered pronunciation that I've used several times.

16 So it's Derek Rieman. Mr. Trey Patton.
17 And then on behalf -- our environmental witnesses are
18 Mr. Jeremy Casteel and Ms. Victoria Casteel.

19 CHMN STAFFORD: All right. Well, I'll
20 start on the end, and Ms. Casteel, do you prefer an oath
21 or affirmation?

22 MS. CASTEEL: Affirmation.

23 CHMN STAFFORD: Do you affirm the testimony
24 you will give in this matter will be the truth, the whole
25 truth, and nothing but the truth, taking into

1 consideration the penalties for perjury in the State of
2 Arizona?

3 MS. CASTEEL: I do.

4 CHMN STAFFORD: Mr. Casteel.

5 MR. CASTEEL: Affirmation.

6 CHMN STAFFORD: Do you affirm the testimony
7 you will give in this matter will be the truth, the whole
8 truth, and nothing but the truth, taking into
9 consideration the penalty for perjury in the State of
10 Arizona?

11 MR. CASTEEL: I do.

12 CHMN STAFFORD: Mr. Rieman, oath or
13 affirmation?

14 MR. RIEMAN: Affirmation.

15 CHMN STAFFORD: Do you affirm the testimony
16 you will give in this matter will be the truth, the whole
17 truth, and nothing but the truth, taking into
18 consideration the penalty for perjury in the State of
19 Arizona?

20 MR. RIEMAN: Yes, I do.

21 CHMN STAFFORD: Mr. Patton, oath or
22 affirmation?

23 MR. PATTON: Oath.

24 CHMN STAFFORD: Do you swear the testimony
25 you will give in this matter will be the truth, the whole

1 truth, and nothing but the truth, so help you God?

2 MR. PATTON: So help me God, yes.

3 CHMN STAFFORD: Mr. Derstine, please
4 proceed.

5 MR. DERSTINE: I think the way that our
6 deck is assembled here, we'll switch over to the hearing
7 room slides. There we go. I think, Mr. Patton, your
8 introduction slides come up first, so let's start with
9 you.

10

11 VICTORIA CASTEEL, JEREMY CASTEEL, TREY PATTON,
12 and DEREK RIEMAN,
13 called as witnesses as a panel on behalf of the
14 applicants, having been affirmed or sworn by the Chairman
15 to speak the truth and nothing but the truth, were
16 examined and testified as follows:

17

18 DIRECT EXAMINATION

19 BY MR. DERSTINE:

20 Q. State your name and your business address for
21 the record, please.

22 A. (Mr. Patton) My name is Aubrey Patton, III. I
23 go commonly by Trey. My business address is 1221
24 McKinney Street, Houston, Texas.

25 Q. Take a couple minutes to introduce yourself to

1 the committee, a little bit on your background and your
2 experience and what brings you here.

3 A. (Mr. Patton) Happy to do so. So my current
4 role is as lead project manager for Repsol Renewables
5 North America. My background is nine years of experience
6 in renewable energy development.

7 I touch on the projects from inception all the
8 way through mid stage and late stage and ultimately into
9 construction. I also support M&A financial activities
10 and construction efforts across the industry.

11 And prior to that I have six years in the mining
12 industry, starting on as a fabricator, welder and
13 draftsman and project manager. Today I am here to
14 testify in my capacity as the lead project manager for
15 the applicants CG Apache County Wind, LLC, and CG Apache
16 County Solar, LLC.

17 CHMN STAFFORD: Mr. Derstine, the witness
18 presentation slides, those are marked as Exhibit CG-7,
19 correct?

20 MR. DERSTINE: That's correct.

21 BY MR. DERSTINE:

22 Q. Mr. Patton, while I have you, and before I
23 forget it, which I am prone to do, let me have you speak
24 to the application that's presented to the committee
25 that's marked as Applicants' Exhibit 1.

1 As the lead project manager you were involved
2 with and oversaw the preparation of the CEC application
3 which is Applicants' Exhibit 1; is that right?

4 A. (Mr. Patton) Yes, sir.

5 Q. Have you had an opportunity to review the CEC
6 application, Applicants' Exhibit 1?

7 A. (Mr. Patton) Yes, sir.

8 Q. Do you have any corrections or changes or
9 clarifications to the application that you'd like to
10 state for the record today?

11 A. (Mr. Patton) Yes, sir, I do. I would like to
12 note that in the application it states that the
13 interconnection project will be approximately 29 miles in
14 length.

15 We'd like to correct that as stated in the
16 opening statement that the length has been revised down
17 to approximately 27 miles in length. It also denotes
18 here that it will be a single circuit gen-tie line as
19 denoted and as we'll unpackage in the project overview in
20 the route description, the line is predominantly single
21 circuit. It does turn into a double-circuit line closer
22 to the termination point.

23 Q. Okay. And you'll cover that in your testimony
24 when you describe the overall project; correct?

25 A. (Mr. Patton) Yes, sir.

1 Q. Anything else that you want to note for the
2 record concerning clarifications or modifications to the
3 application?

4 A. (Mr. Patton) No, sir.

5 Q. Okay. All right. Mr. Rieman, let's go through
6 your background and history and experience. Let's start
7 by stating your name for the record and your business
8 address, please.

9 A. (Mr. Rieman) My name is Derek Rieman, and my
10 office is located at 1221 McKinney Street, Suite 1900,
11 Houston, Texas 77010.

12 Q. Okay. Yeah, using your slide and whatever you
13 would like to say, give the committee an understanding of
14 who you are, your experience and your background, please.

15 A. (Mr. Rieman) Yes, I am the chief development
16 officer of Repsol Renewables North America, where I am
17 responsible for overseeing the development of our utility
18 scale wind, solar, solar plus battery storage, and
19 battery storage portfolio, which exceeds 15 gigawatts of
20 which 2.5 gigawatts are located here in Arizona.

21 My responsibilities include greenfield
22 prospecting and development, negotiating and evaluating
23 development agreements, negotiating commercial offtake
24 agreements, and providing general guidance and oversight
25 over our development activities in markets across the

1 United States.

2 I have 16 years of experience in developing and
3 constructing utility-scale renewable energy projects all
4 across the country.

5 And I'm here representing the applicants CG
6 Apache County Solar, LLC, and CG Apache County Solar,
7 LLC.

8 Q. Okay. I think some of the testimony that you
9 have planned will provide a little more background on
10 CG Apache County Wind and Solar, the two LLCs, as well as
11 Repsol Renewables North America; right?

12 A. (Mr. Rieman) That is correct, yes.

13 Q. Okay. I think the next slides we have are the
14 introduction slides for Ms. Turner, that's the witness I
15 indicated will be testifying virtually when we schedule
16 her hopefully tomorrow afternoon, so we'll skip her
17 slides for now.

18 And that brings us to you, Mr. Casteel. State
19 your name and your business address for the record,
20 please?

21 A. (Mr. Casteel) Good afternoon. My name is
22 Jeremy Casteel. My business address is 20 East Thomas
23 Road, Suite 1700, Phoenix, Arizona 85012.

24 Q. And take a few minutes, introduce yourself to
25 the committee, tell us about your background and your

1 experience.

2 A. (Mr. Casteel) I'm a lead environmental planner
3 and project manager for SWCA. I'm a manager of the CEC
4 application and oversaw the preparation of the exhibits
5 as well as the public outreach efforts.

6 I have 21 years of environmental planning
7 experience in Arizona and that experience is related to
8 transportation, transmission, renewables and water
9 infrastructure.

10 Q. Do you want to take a minute, and you mentioned
11 that you work for SWCA Environmental Consultants. Take a
12 minute to talk about SWCA, what it does, its role for
13 this project.

14 A. (Mr. Casteel) Yes. SWCA is a national
15 environmental consulting firm based out of Phoenix,
16 Arizona. Natural and cultural resources management,
17 regulatory compliance and other services within Arizona
18 and nationwide.

19 Q. And SWCA was engaged by applicants to perform
20 various environmental studies and public outreach and
21 other things that were in support of the CEC application;
22 is that right?

23 A. (Mr. Casteel) Correct. Yeah, the applicants
24 retained SWCA to prepare the CEC application, the
25 environmental studies that support the application, and

1 assist with the public involvement and public outreach.

2 Q. Okay. Thank you.

3 Ms. Casteel, I guess your name and business
4 address, please?

5 A. (Ms. Casteel) My name is Victoria Casteel. My
6 business address is 20 East Thomas Road, Suite 1700,
7 Phoenix, Arizona 85012.

8 Q. And I guess at the risk of stating the obvious,
9 you're in some way related to the other Casteel on the
10 witness panel; right?

11 A. (Ms. Casteel) Yes, we've been together and
12 working together for 16 years, married for 12.

13 Q. Great. Congratulations.

14 Well, tell us, tell the committee a bit about
15 yourself and your experience and what role you have
16 played and what you'll cover in your testimony.

17 A. (Ms. Casteel) I am the natural resources
18 director for Arizona for SWCA Environmental Consultants.
19 My role on the project is to support Jeremy and our team
20 of natural resource and cultural resources specialists in
21 preparation of the CEC and the process in general.

22 I have 19 years of experience in environmental
23 and planning and permitting including projects in the
24 renewable energy, transmission, and infrastructure fields
25 among other industries. And I have testified previously

1 in case numbers 209 and 240.

2 Q. Okay. Thank you.

3 With those introductions of our four panel
4 witnesses, Mr. Rieman, let's come back to you to give the
5 committee an overview of the applicants and Repsol
6 Renewables North America, please?

7 A. (Mr. Rieman) Thank you. Yes, the applicants,
8 CG Apache County Wind, LLC, and CG Apache County Solar,
9 LLC.

10 MEMBER KRYDER: A bit closer to your mic,
11 please.

12 MR. RIEMAN: Certainly. The applicants,
13 CG Apache County Wind, LLC, and CG Apache County Solar,
14 LLC, are affiliates of Repsol Renewables North America,
15 and are -- which is the indirect parent of these
16 entities.

17 Repsol Renewables North America acquired
18 the 100 percent equity interest of ConnectGen, LLC, in
19 March of 2024 which included the entire portfolio of wind
20 and solar and battery storage projects with that
21 organization.

22 As such, Repsol Renewables North America
23 has been developing and working on the Lava Run wind and
24 solar projects since that time.

25 MR. DERSTINE: Just pull that close to you

1 so you don't have to reach for it.

2 MEMBER KRYDER: Very much appreciate it.

3 MR. DERSTINE: There you go. Of course.

4 MR. RIEMAN: Repsol Renewables North
5 America is headquartered in Houston, Texas, and it has
6 155 employees that are supporting the development,
7 construction, and operations of our renewable energy
8 project portfolio.

9 We identify, develop, and build these
10 projects all across the United States. We currently have
11 1400 megawatts of operating solar projects in New Mexico
12 and Texas. We are currently constructing 1200 megawatts
13 of solar and storage projects in Texas, and we are
14 developing a portfolio of projects as indicated on the
15 slide before you across the entire country.

16 Repsol Renewables North America is part of
17 a global energy company with a strong presence in the
18 United States.

19 As you can see on the slide, we have
20 highlighted a variety of projects in various
21 jurisdictions across the United States. We have a
22 considerable amount of experience in greenfield
23 identification of renewable energy projects, developing
24 them through the site acquisition process, permitting
25 process, interconnection studies, and bringing those

1 projects to construction and into its operations.

2 BY MR. DERSTINE:

3 Q. Thank you for that. I guess with that
4 background on the applicants and Repsol Renewables North
5 America, let's turn to you, Mr. Patton, to talk a little
6 bit about the wind and the solar projects that are being
7 developed.

8 I took time to note that the wind and the solar
9 projects are not projects that are before the committee.
10 This committee doesn't have jurisdiction to approve,
11 disapprove those projects, but at the same time it's
12 important that the committee understand that what's being
13 developed at the end of the line, which is the starting
14 point and the end point for the interconnection project.

15 So take us through those at a high level, the
16 wind and solar project, if you will, Mr. Patton.

17 A. (Mr. Patton) Certainly. So as you alluded to,
18 the end of the gen-tie facility, we have the wind
19 facility which is known as the Lava Run Wind Project.

20 That is a standalone wind facility that is sited
21 across roughly 44,500 acres of publicly owned land that
22 is administered by the Arizona State Land Department.

23 Our final infrastructure footprint will be
24 consolidated down to roughly 500 acres. The nameplate
25 capacity of that project would be up to 500 megawatts.

1 We are currently targeting a commencement of construction
2 date in 2027 and our targeted commercial operations date
3 is late 2028.

4 Moving to the solar facility, this is a
5 standalone solar facility that is sited on approximately
6 3760 acres, also again predominantly publicly owned land.
7 There is a private landowner participating in that
8 project.

9 The nameplate capacity for that project is up to
10 450 megawatts. It is paired with a battery energy
11 storage system, also known as BESS, that is up to
12 450 megawatts. And these projects are slated for the
13 same time line as Lava Run Wind, so Lava Run Solar would
14 commence construction in 2027 and would begin
15 operations -- commercial operations in late 2028.

16 MEMBER KRYDER: Mr. Chairman.

17 CHMN STAFFORD: Yes, Member Kryder.

18 MEMBER KRYDER: One quick question. In
19 looking at the map here and in the application, I think
20 it's under exhibit whatever, here, I'll get it.

21 CHMN STAFFORD: Hearing Exhibit 7 is the
22 slide deck and the map they're looking at is Slide 22.

23 MEMBER KRYDER: Okay. What I -- my
24 question was toward the relative sizes on the map. I
25 know the solar and the wind fields are not our

1 jurisdiction, but I was confused.

2 The wind portion seems to be much larger
3 than the solar portion, and yet by the other slide it
4 says that the solar portion is 3700-plus acres and the
5 other is 500. Am I reading the map wrong? Or what's
6 going on? Can you help me on that?

7 MR. PATTON: Yes, sir. I absolutely can.
8 So I want to clarify that the boundary that you see here,
9 I'm going to use this pointer. Hopefully it works for
10 me.

11 MEMBER KRYDER: Into your microphone. Just
12 slip it over close to your mouth.

13 MR. PATTON: Yes, sir.

14 MEMBER KRYDER: Thank you.

15 MR. PATTON: So you can see here this gray
16 boundary, this is the 44,550 acres that I was
17 referencing. This is the state boundary of all of the --
18 or this is the boundary of all the state-owned land that
19 you can see.

20 So our wind footprint is within this
21 boundary.

22 MEMBER KRYDER: Okay. It's within. That
23 is not the boundary itself.

24 MR. PATTON: No, sir.

25 MEMBER KRYDER: Okay. I misread the map,

1 then. Thank you very much for the clarification. So
2 over on the east end of the corridor, then, would be
3 your, what, 500 acres of wind facility. Is that -- no?
4 Oh, I've got that backwards. Help me out.

5 MR. PATTON: Yes, sir. So what you see
6 here on the east, this is our solar facility.

7 MEMBER KRYDER: Okay.

8 MR. PATTON: So this is our perimeter of
9 3760 acres.

10 MEMBER KRYDER: Okay. Thank you so much.

11 MEMBER DICICCIO: Mr. Chair.

12 THE WITNESS: Yes, Member DiCiccio.

13 MEMBER DICICCIO: Thank you. More along
14 the lines of timing, because you mentioned solar is going
15 to come on on 2027. When do you plan to install the
16 transmission lines?

17 MR. PATTON: That's a great question. So
18 we would commence the construction of the gen-tie in
19 2027.

20 MEMBER DICICCIO: So it would be done
21 first?

22 MR. PATTON: In sequence.

23 MEMBER DICICCIO: Okay. In sequence. And
24 then what about the wind.

25 MR. PATTON: The wind would also be

1 commencing in 2027.

2 MEMBER DICICCIO: Okay. So what if you're
3 required to put in the transmission lines in first before
4 you do any of the other parts of the project?

5 MR. PATTON: Well, that is an interesting
6 question. It wouldn't be standard operating procedure
7 from a sequencing standpoint, because we want to ideally
8 start with your lay down facilities and your substation,
9 your interconnection infrastructures or wind facilities
10 and begin to start seeking that way.

11 MEMBER DICICCIO: The biggest controversy
12 is going to deal with the wind part, and I don't mind
13 addressing it head on.

14 MEMBER KRYDER: I can't hear you, Sal.

15 MEMBER DICICCIO: Oh, I'm sorry. That's
16 right. I need to -- sorry about that. So the biggest
17 part of this is the controversial part, which is the wind
18 part of it, and whether we're supposed to look at it or
19 not, it's there, it's the elephant in the room, so I will
20 ask questions about that.

21 MR. PATTON: Yes, sir.

22 MEMBER DICICCIO: And I do represent the
23 cities and towns. That's my role here.

24 So from my end, because of the financing
25 and all that has been pretty much dried up on the wind

1 side of it, what -- do you have your financing in place?
2 Is it all ready to go? Do you have all the financial
3 capability to do this?

4 MR. PATTON: Yes, sir. To speak about our
5 platform, we are balance sheet financing these projects,
6 which means that we do not have to raise capital, so
7 other developers are typically smaller operations that do
8 not have operating assets. We are part of a broader
9 industrial group, a multi-national, multi-energy group.

10 And so for us, our only financial threshold
11 is we have to meet to green light our projects, our
12 internal, and presenting the certain KPIs of the project
13 to our leadership and our executive board, and from there
14 we, like I said, we balance sheet finance these projects.

15 There's either balance sheet financing or
16 debt financing. And you see predominantly in this space
17 debt financing of these projects.

18 MEMBER DICICCIO: And then one last
19 question, too, a lot of state land is checkerboarded,
20 like you see up in the northern part of there, this is
21 all contiguous property, then, below where you're right
22 now.

23 MR. PATTON: Yes, sir.

24 MEMBER DICICCIO: It's checkerboarded as
25 well.

1 MR. PATTON: It's all contiguous, if you
2 can see here on this map, all of these layers that you
3 see in the light blue, these are all state-owned lands.
4 These white pieces are private land parcels.

5 MEMBER DICICCIO: Right.

6 MR. PATTON: And so these carve-outs here
7 are private land pieces that I can speak to later in my
8 testimony. But everything that you see in this gray
9 threshold here is contiguous state-owned land.

10 MEMBER DICICCIO: Okay. Thank you.

11 MR. PATTON: Yes, sir.

12 CHMN STAFFORD: All right. So the map
13 you're referring to is the one on Slide 22 of Applicants'
14 Exhibit 7.

15 One quick question I had about this while
16 we're on it is there's the wind facility and then there's
17 the solar facility with the storage system. Is that
18 storage system capable of being charged from both the
19 solar and the wind projects?

20 MR. PATTON: Just the solar.

21 CHMN STAFFORD: Just the solar.

22 MR. PATTON: Yes, sir.

23 CHMN STAFFORD: So the wind, you can't
24 charge the batteries with the wind, then.

25 MR. PATTON: No, sir.

1 CHMN STAFFORD: Okay. And then I see
2 Member Fontes has had his hand raised for a minute, and
3 then after him I think Member Hill has a question.
4 Member Fontes.

5 MEMBER FONTES: Thank you, Mr. Chairman.
6 Like to ask applicant what's the status of offtake for
7 the wind and solar and storage.

8 MR. PATTON: Ongoing.

9 MEMBER FONTES: So you have no offtake?

10 MR. PATTON: Part of our process is we get
11 through the interconnection studies phase, which we have.
12 We have signed interconnection agreements with the
13 regional grid operator. I believe Ms. Turner can speak
14 to that in her testimony as well to greater detail. And
15 part of our offtake is to engage in what's called an RFP,
16 a request for proposal, with the regional grid operator,
17 and they are indicating to opening up that process in
18 2026. First quarter, ideally the first half of 2026.
19 And that is --

20 MEMBER FONTES: Can you be more specific
21 than regional grid operator? Are you chasing an RFP with
22 CAISO or SPP?

23 MR. PATTON: No, sir, it would be with
24 Tucson Electric Power.

25 MEMBER FONTES: They're not a regional grid

1 operator. They are a utility, an IDU in Arizona, to be
2 precise.

3 Is your construction or corporate decision
4 to move forward with the investment contingent upon
5 offtake contracts?

6 MR. PATTON: Generally speaking, yes.

7 MEMBER FONTES: So how does that line up
8 with the 2027 dates that you represented with awards on
9 RFPs for solar and storage and wind?

10 MR. PATTON: So we go through several
11 different thresholds for what we call our final
12 investment decision, which commences the construction of
13 our project.

14 The offtake is certainly a key component of
15 that. And so our timing is we enter into an RFP, we
16 secure a PPA, we also work to secure our contractors, our
17 materials, our equipment. And from there that gets us to
18 a notice to proceed.

19 MEMBER FONTES: Understood. But to go back
20 to Member DiCiccio's question so that I can provide
21 additional context and understand myself, if you don't
22 win an RFP before 2027, would Repsol continue to proceed
23 to NTP for construction?

24 MR. PATTON: I can't speculate on that as
25 I'm not in a position to make strategic decisions to that

1 end.

2 MEMBER FONTES: Okay. Fair enough. With
3 respect to the solar and storage, is that contingent upon
4 a tax credit and the same thing as wind to make those
5 viable for an investment decision for the PPA award?

6 MR. PATTON: I would refer to my previous
7 comment that I don't sit on the strategic --

8 MR. DERSTINE: Mr. Patton can -- maybe
9 those are questions that --

10 MEMBER FONTES: Well, Mr. Derstine, if I
11 may, what I'm trying to do is get the certainty on that
12 2027 date back to Member DiCiccio's original question.

13 We're not trying to -- we're not looking at
14 a gotcha here. We're looking at what is realistic in
15 terms of timing on where you're at. I am a former
16 developer. I applaud the enthusiasm about chasing PPAs
17 and awards, but help us help you in that that may not
18 happen, PTCs may not happen. ITCs.

19 You want to preserve this project, you want
20 to move forward with it, but we need a little bit of
21 transparency in that uncertainty, or what I will call the
22 worst case in the financial model, so that we can help
23 you when we get to the issues that we need to look at on
24 345kVs offtake timing.

25 I think Member DiCiccio asked a really good

1 question. So I'd ask if you could think about that and
2 come back to this further in the testimony, it would be
3 helpful to get a little more thoughtful answer on that.

4 CHMN STAFFORD: I thought Mr. Rieman was
5 about to be able to answer the beginning of your
6 question.

7 MEMBER FONTES: Okay. Go for it.

8 CHMN STAFFORD: Mr. Rieman.

9 MR. RIEMAN: Thank you, Chairman. The
10 project has -- with respect to your question regarding
11 tax qualification and expiring PTCs and ITCs or
12 production tax credits and investment tax credits, the
13 project has secured tax, start of construction through
14 off-site physical construction, so the projects have
15 secured main power transformers, which is a documented
16 strategy that's supported by IRS guidance that allows us
17 a four-year time frame by which the project started
18 construction in order to install the projects and secure
19 those tax credits.

20 MEMBER FONTES: So is that on the wind and
21 the solar and storage that you have safe harbor?

22 MR. RIEMAN: Wind and solar.

23 MEMBER FONTES: Wind and solar. Anything
24 on the storage we should know about on that?

25 MR. RIEMAN: No, not at this time.

1 MEMBER COMSTOCK: Mr. Chairman, one point
2 of order, if I may?

3 CHMN STAFFORD: Yes, Member Comstock.

4 MEMBER COMSTOCK: For those of us who might
5 know what the acronyms mean, appreciate it if you would
6 at least for the record state it the first time what
7 you're saying. For instance, PPA stands for?

8 CHMN STAFFORD: Power purchase agreement or
9 purchased power agreement.

10 MEMBER COMSTOCK: Perfect. As long as we
11 can get on the record what those acronyms are, then we go
12 back to short course after that.

13 CHMN STAFFORD: Thank you, Member Comstock.

14 MEMBER COMSTOCK: Appreciate it.

15 MEMBER FONTES: Hey, Member Comstock, thank
16 you for the reminder. I tend to get wonky, and I
17 appreciate you pointing that out.

18 MEMBER COMSTOCK: No problem.

19 MEMBER DICICCIO: Mr. Chair.

20 CHMN STAFFORD: Yes, Member DiCiccio.

21 MEMBER DICICCIO: Follow-up to Mr. Fontes,
22 but I thought he had great questions. If you're not
23 looking for these PPAs, what you would call them, until
24 2027, why are you here today? I mean, generally the ones
25 I've seen, everybody's secured all this in place way

1 before coming to the meeting here.

2 MR. RIEMAN: We have been actively
3 marketing the power from both the wind and the solar
4 project with TEP and other commercial and industrial
5 users of electricity.

6 And so that could be very large
7 corporations or hyperscalers that have corporate goals to
8 procure a certain percentage of their electricity from
9 renewable energy projects.

10 And as we have seen in the press, the
11 advancement of artificial intelligence and data centers
12 is creating a tremendous amount of demand for renewable
13 energy sources, and so we as Repsol Renewables North
14 America have established relationships with these
15 entities and so we have had ongoing discussions with them
16 about buying the energy generating from those projects.

17 MEMBER FONTES: Mr. Chairman, I have a
18 follow-up, one last follow-up if I may.

19 CHMN STAFFORD: All right. Yes, Member
20 Fontes.

21 MEMBER FONTES: Mr. Rieman, I would
22 appreciate knowing the transaction structure on this. I
23 know it's Repsol North America SA, a subsidiary of Spain,
24 but then you're going to have two project companies that
25 I believe I heard.

1 We have an obligation as Mr. Derstine
2 pointed out to look at the statutory criteria of the
3 certificate of environmental compatibility. That
4 includes remediation at project termination.

5 Now, while we're subject to the gen-tie,
6 we're going to want to look at who holds that insurance
7 policy. And oftentimes with developers, we -- and you've
8 got two renewable projects here and they may be financed
9 at corporate finance, but then they may be taken out by
10 project finance.

11 We'll want you to think through for us the
12 life cycle of how that gen-tie's going to fit within
13 financing and then who's going to hold that insurance
14 policy for end of life and remediation. I represent the
15 counties. That's a big issue for the counties. Member
16 DiCiccio represents the cities.

17 So we're trying to help understand that so
18 that we can help advance the project forward. Again,
19 think that through. Don't need an initial response if
20 you don't have the answer. I'd rather have you consult
21 with that, as Mr. Derstine knows.

22 Thank you, Mr. Chairman.

23 CHMN STAFFORD: Thank you, Member Fontes.

24 MR. RIEMAN: Thank you for your question.

25 We will consult and respond.

1 CHMN STAFFORD: Thank you. Member Hill,
2 you had a question.

3 MEMBER HILL: Thank you, Mr. Chair. We
4 found out a lot of dates, and my colleagues have asked a
5 lot of questions, but I want to repeat what I heard and
6 you can clarify.

7 What I heard is that you're looking for
8 beginning construction in 2027, that there are several
9 requests for proposals for power purchase agreements
10 coming out in January, I think, from TEP, first quarter
11 of that year.

12 MR. RIEMAN: Of 2026, I apologize.

13 MEMBER HILL: I think SRP has one coming
14 out in the spring as well. So there are a couple of
15 local utilities who are looking for power. And power is
16 a challenge here in this state, and a shortage of it.

17 So that you might have all the information
18 you need by the end of 2026 to actually go to
19 construction in 2027. Does that sound like the time line
20 that we've been talking about?

21 MR. RIEMAN: Yes, ma'am.

22 MEMBER HILL: Okay. Thank you.

23 CHMN STAFFORD: Thank you, Member Hill.
24 Mr. Derstine.

25 MR. DERSTINE: Anything you wanted to add

1 on the overview of the solar and the wind project? You
2 had a number of good questions from members of the
3 committee.

4 And I would only, I guess, note and
5 respond, Member DiCiccio, that in my limited experience
6 in advising clients who are presenting proposals in
7 response to an RFP, it's my understanding and experience
8 that oftentimes having the necessary permits in place
9 like a CEC to construct the gen-tie is an important
10 consideration for judging a project and deciding if it's
11 a real project and whether or not it's a project that
12 they want to contract with for development. So that the
13 fact that this project, these applicants for the solar
14 and wind side are seeking the CEC now in anticipation of
15 the 2026 RFP is not that unusual and, in fact, it's an
16 important part oftentimes of the response process to an
17 RFP.

18 MEMBER DICICCIO: Well, Mr. Chair.

19 CHMN STAFFORD: Yes, Member DiCiccio.

20 MEMBER DICICCIO: Follow-up on that. The
21 line of questioning on my end, and Mr. Fontes did a much
22 better job at it, is that if they're going to be balance
23 sheet financing, and they're not going to be able to do
24 this, and they won't do it, any investor wouldn't put any
25 money into it if they didn't have contracts in place

1 already, so they have to have a general idea of whether
2 or not they have a user in place or not, and it doesn't
3 sound like it to me.

4 I'm just telling you from what I've heard.
5 It sounds to me that it's more of an off-the-cuff type of
6 thing and they're trying to see if they're going to get
7 the permit first.

8 I'm in the development business as well.
9 And especially on the wind side of it, because I think
10 that's the least practical that's out there right now,
11 but that's just my own personal opinion.

12 That I think they need to come in from my
13 end, more stability is to say here's where we're looking
14 at. We feel comfortable, we're going to get this, and
15 here's who we're looking at, or who we're going to be
16 putting this deal together with.

17 Because whether it's debt financing or
18 balance sheet financing, no one's going to invest in that
19 if they don't have an end user in place. They're just
20 not going to have it.

21 MR. DERSTINE: No, and I don't think anyone
22 is saying anything different, it's just the timing and
23 the sequence and the fact that they're here seeking the
24 CEC and approval of the CEC to support these projects is
25 not out of sequence necessarily with the development of

1 projects, especially when you have the time line where as
2 you know the time line for the construction of a gen-tie
3 line like this is typically 10 years, and we've advocated
4 for longer terms.

5 So the planning horizon, whether it's 2027
6 or the project doesn't have a PPA in place until 2028,
7 this process and getting this CEC in place is an
8 important part of the long-term permitting approach and
9 ensuring that a project like this has legs.

10 MEMBER DICICCIO: But what I heard is that
11 they're planning on construction 2027. I heard that.

12 MR. DERSTINE: Yes, and I think that's the
13 initial -- I think that's their initial plan. Do you
14 want to clarify, Mr. Patton or Mr. Rieman, about that,
15 the time line?

16 MR. PATTON: The time line is correct.

17 MR. RIEMAN: Yeah, I would just say that we
18 seek to secure a power purchase agreement for the project
19 in 2026, which would facilitate the internal investment
20 approval that would allow for a start of construction of
21 the project in 2027 and hitting the time frames that were
22 described by Mr. Patton.

23 MR. DERSTINE: And if you don't have, say
24 the RFP process isn't finalized or you don't have a PPA
25 in place, what then? What's the next? What's the

1 process for the applicant?

2 MR. RIEMAN: Yeah, we would continue to
3 seek power purchase agreement for the project to support
4 the internal investment approval, so we would look for
5 alternative sources of requests for proposals or other
6 entities that would be interested in buying the power
7 from the projects.

8 MR. DERSTINE: So your start of
9 construction date of 2027 is what you hope to achieve,
10 but that time line may slip depending on where you are in
11 the process of securing an offtaker?

12 MR. RIEMAN: That is correct.

13 CHMN STAFFORD: So intention is to get the
14 PPA in place before construction commences; correct?

15 MR. RIEMAN: That is correct.

16 CHMN STAFFORD: You do not intend to build
17 a true merchant plant that will just be constructed, you
18 know, if you build it they will come approach that
19 someone's going to buy it if you build it, correct?

20 MR. RIEMAN: That is the current strategy,
21 yes.

22 CHMN STAFFORD: I guess it's theoretically
23 possible that you could begin construction without a PPA
24 in place but that's highly unlikely.

25 MR. RIEMAN: That is correct.

1 MEMBER DICICCIO: Mr. Chair, one final
2 question just as a follow-up.

3 CHMN STAFFORD: Yes, Member DiCiccio.

4 MEMBER DICICCIO: So let's say you get half
5 of it, you get the solar part of it done and not the
6 wind, or the wind done and not the solar, will you start
7 construction?

8 MR. RIEMAN: That is correct.

9 MEMBER DICICCIO: So you can do either/or;
10 correct? Either the solar or the -- so if you get your
11 PPAs in place for the solar part of it, or you get your
12 PPAs in place for the wind part of it, you can build the
13 transmission lines?

14 MR. RIEMAN: That is correct.

15 MEMBER DICICCIO: Okay. Thank you,
16 Mr. Chair.

17 CHMN STAFFORD: Member Fontes has his hand
18 raised.

19 MEMBER FONTES: I want to point out
20 something for Member DiCiccio. I agree with your
21 observation on the structuring of the capital stack for
22 development.

23 However, what we have seen in the past five
24 years, and I work in project finance for renewables, is
25 corporate financing is cheaper than project financing for

1 the development.

2 So in the end result, they are more
3 competitive for a bid to an RFP by using corporate
4 finance than take out of project finance. The net
5 benefit to the ratepayer is that you're going to get an
6 overall more competitive affordable project in -- in
7 doing so by taking that corporate finance risk with a
8 project finance takeout.

9 I hope that benefits this discussion, but I
10 wanted to provide that color to you, Member DiCiccio,
11 that this is becoming more increasingly common and it's
12 drive by the credit cycle policy on PTC, production tax
13 credits, investor tax credits, and what we're seeing in
14 terms of a trend.

15 MEMBER DICICCIO: Thank you for that.

16 MEMBER FONTES: Thank you, Mr. Chairman.

17 CHMN STAFFORD: Thank you.

18 So I guess maybe you could expound on that
19 a little bit or maybe one of the witnesses can. We're
20 hearing the terms project financing and corporate
21 financing bandied about. So kind of take a shot here,
22 make sure I understand this and that it's clear on the
23 record. The corporate financing means --

24 MEMBER FONTES: -- financing since I used
25 it -- but corporate financing is typically on the balance

1 sheet of the corporate entity.

2 CHMN STAFFORD: And that means that the
3 corporate entity has the money, they have investors, they
4 put up the money for the project.

5 MEMBER FONTES: Yes.

6 CHMN STAFFORD: Okay.

7 MEMBER FONTES: They get bond or any kind
8 of debt instrument and they use it to finance the
9 development activities through construction. Project
10 finance is non-recourse. It is solely recourse to that
11 of the project and it's dependent upon the power
12 purchasing agreement and the revenue from that for
13 repayment on any debt that it takes.

14 CHMN STAFFORD: So it's those --

15 MEMBER FONTES: It's not at the corporate
16 level, it's at the project level.

17 CHMN STAFFORD: Right, so it's for the debt
18 of the company, so if they don't pay it then the creditor
19 will take the asset.

20 MEMBER FONTES: Correct. It's usually off
21 balance sheet or a special purposes entity. In this case
22 I would imagine it, but I'll let the applicant opine on
23 this.

24 There could be two project financings here,
25 one for the solar and storage and a separate one for the

1 wind farm. If there is two, that begs the question that
2 I originally posed on, okay, where's the gen-tie fit and
3 how is that insurance policy for ultimate environmental
4 mitigation that we need to deal with in the CEC.

5 So I'll leave it at that, Mr. Chairman.

6 CHMN STAFFORD: Mr. Rieman, did you have a
7 response?

8 MR. RIEMAN: Yeah, at this time we have not
9 determined the financing strategy as it pertains to
10 whether the wind and solar will be financed as one
11 financing or two separate financings.

12 CHMN STAFFORD: Thank you.

13 Mr. Derstine.

14 BY MR. DERSTINE:

15 Q. Mr. Patton, I think you have one more slide
16 you're going to touch on in terms of some of the common
17 development characteristics of the wind and the solar
18 project.

19 A. (Mr. Patton) Yes, thank you. So as noted
20 previously, both these facilities are sited primarily on
21 land that is publicly owned and administered by ASLD, and
22 is within unincorporated Apache County.

23 Each project will be constructed in two phases,
24 and we are seeking, as we've been speaking for some time,
25 we are seeking power purchase agreements for those

1 projects.

2 Q. So we've moved on from the wind and the solar
3 project and the discussion of those projects and how
4 they're financed. So getting back to the interconnection
5 project, the gen-tie line.

6 And so at a high level, why don't you cover the
7 purpose and need of the gen-tie line? I think the
8 committee understands it, but just for the record?

9 A. (Mr. Patton) Absolutely. So the gen-tie is
10 needed to deliver power from the generating facility, the
11 wind and solar projects, to the grid.

12 Q. And in terms of the length and the ties for the
13 gen-tie, the basic driver for this, the interconnection
14 project, is that it must connect the wind side of the
15 project with its two project substations and then
16 continue over to the solar project to the east, and then
17 interconnect those two substations and allow for
18 interconnection at the Springerville Substation.

19 Is that at a high level what we're looking for
20 and what our needs are for the gen-tie?

21 A. (Mr. Patton) Yes, sir, that's it.

22 Q. And your last bullet there just clarifies that
23 the voltage of the gen-tie line, 345kV, is determined by
24 the Springerville Substation. That's the operating
25 voltage that TEP uses at Springerville; is that right?

1 A. (Mr. Patton) Yes, sir, that is correct.

2 CHMN STAFFORD: Member Hill.

3 MEMBER HILL: Thank you, Mr. Chair. I do
4 understand at the end of gen-tie line you have a double
5 circuit.

6 MR. PATTON: Yes, ma'am.

7 MEMBER HILL: Can you talk about the need
8 for that?

9 MR. PATTON: Yes, ma'am. So let me point
10 here. So the route is predominantly single circuit from
11 its origination point, and we can also discuss this in
12 the route description.

13 Project Substation 3 is the first
14 substation of the solar project. The energy that is
15 generated from this facility will then go to the gen-tie
16 as a double circuit, and from project Substation 3 to its
17 ultimate destination which is the Springerville station
18 it will be double circuit.

19 BY MR. DERSTINE:

20 Q. Well, there's a solar project Substation 4 and
21 then you proceed to interconnect at Springerville. Do I
22 have that right?

23 A. (Mr. Patton) That's correct.

24 CHMN STAFFORD: Approximately how long is
25 the double circuit portion of the line?

1 MR. PATTON: Don't want to misspeak. Just
2 over a mile and a half.

3 CHMN STAFFORD: Thank you.

4 BY MR. DERSTINE:

5 Q. And the reason for the second circuit, picking
6 up that second circuit on the solar side, is that the
7 single circuit from the wind project will be largely
8 utilized by the generation from the wind project, and
9 then once you get to the solar project you need that
10 additional circuit to carry the energy that's going to be
11 generated from the solar side of the project.

12 A. (Mr. Patton) Yes, sir.

13 Q. Okay. That's the main needs for the gen-tie
14 line that's driving the project.

15 Let's talk about how we -- how you came to the
16 route that's presented to the committee in the CEC
17 application.

18 A. (Mr. Patton) Sure. So I would like to kind of
19 start from the beginning, which is what you kind of see
20 here. This is a wind density resource map. So this is a
21 desktop assessment of where the resource is most viable.

22 And from here we take a look at siting the
23 gen-tie project based off of where we are collecting the
24 energy and how we intend to deliver that energy that's
25 generated to its ultimate delivery point.

1 And so to use a developer standpoint, this is
2 kind of our development terminology, this is the first
3 pancake, if you will. We take a look at where the
4 resource is, and we begin to synthesize a project thesis
5 and that helps to inform our design iterations of the
6 gen-tie.

7 And so we obviously have a guiding philosophy
8 throughout that entire process. It is an iterative
9 process that takes multiple stabs at this thing to get it
10 correct, but the guiding thesis is to have minimal
11 environmental impact and to consider how the land is
12 currently being used and take into account feedback from
13 stakeholders.

14 Q. So I guess the starting point in your -- as I
15 understand it, in your route selection process for this
16 project is to, most importantly and first and foremost
17 was to identify where the wind resource is, and in doing
18 that, you used this the map that's shown on the screen
19 here. I guess it's -- I have a hard time reading that
20 slide, I don't know if that's slide 32.

21 A. (Mr. Patton) Yes, sir.

22 Q. And the end point as we discussed is going to be
23 is the Springerville Substation which is your closest
24 access point to the grid. So that was kind of -- that is
25 your starting and end point for the gen-tie. And then

1 you worked on your route selection process from there.

2 Is that a fair statement?

3 A. (Mr. Patton) Yes, sir.

4 Q. So take us through that process, please.

5 A. (Mr. Patton) Sure. So I'd like to demonstrate
6 a time line for the committee from how this inception,
7 how this was formed to where we are now.

8 So, again, 2018, 2019, this is what I would call
9 the first pancake, if you will. We synthesize a project
10 thesis. We identify where this makes sense from a
11 business standpoint. That's just par for the course.

12 We have to understand, you know, what is our end
13 goal, but then reverse engineer how we get there. And
14 from there we start to begin to -- all the subsequent
15 development work.

16 And so the solar facility was sited in 2019,
17 based off of its approximation -- or, I'm sorry, its
18 proximity to the Springerville Substation.

19 And from there, we begin to continue to look at
20 the wind resource in 2019 and where we could best site
21 that project.

22 We filed for our interconnection requests with
23 TEP in 2020. And in that stage we begin to really hone
24 in on where we think our footprint is going to be for our
25 generating facilities.

1 In 2021 we secured the rights to erect MET
2 towers. Meteorological towers are instruments that are
3 used for resource assessment. It's very common practice
4 for us to erect these structures and gather data over the
5 course of seasons and years. And that helps to inform
6 the production profile of the project and the viability.

7 Q. When you say you secured the right to construct
8 the MET towers, you mean you obtained approval from State
9 Land Department?

10 A. (Mr. Patton) Yes, sir.

11 Q. Okay.

12 A. (Mr. Patton) They require a special land use
13 permit and those have been secured and are valid.

14 Q. Okay.

15 A. (Mr. Patton) And then from 2023, after you can
16 see a couple years of this wind resource assessment
17 campaign, we really began to fine tune the generating
18 profile of the projects.

19 And once we have the project design defined for
20 the generating facilities, this helps to inform our
21 transmission.

22 So if I may, I have a map here that shows the
23 iterative processes that we've had for the gen-tie line.

24 So for clarification we have the, again, on the
25 map on the right where you kind of see toward the western

1 orientation, this is the footprint of all the state-owned
2 land parcels, and this is the initial route selection
3 that we had based off of the generating profile of the
4 wind, and where we know we want to have the energy
5 ultimately delivered to.

6 So this is essentially a desktop analysis, a
7 placeholder, if you will, a jumping off point from the
8 developer perspective.

9 Subsequently, we -- it's incumbent on us as
10 developers to engage with our neighbors, the community,
11 and take into account their feedback, their reservations
12 and incorporate that into our site design.

13 And so in 2024, based off of some engagements
14 with the private landowner, we heard what the
15 reservations were about these infrastructures and our
16 footprint, and we wanted to understand what their
17 considerations were and what they would like to see from
18 us.

19 We codified that into what's called a good
20 neighbor agreement that has been signed and executed, and
21 so we take their feedback, and for clarification I'm
22 going to point here this landowner, my clicker doesn't
23 seem to be cooperating -- there we go -- is right here in
24 this carve-out.

25 So they're a nonparticipating landowner, but

1 they've made it clear they can live with the project as
2 long as we demonstrate that we would take into account
3 their feedback. So which is how we landed on the site
4 design where you see the line has been relegated to north
5 predominantly of highway -- of this highway here and
6 minimizes their viewshed impact.

7 And then the other thesis with this design as
8 you can kind of see here, the substations have been
9 defined, so we understand where the generating facility's
10 going to be.

11 We start to then start build out our civil
12 design and our electrical design, so we help define where
13 our substations are going to be. Substation 1,
14 Substation 2. And then from there we begin to route with
15 minimal environmental impact and the optimized
16 constructable strategy.

17 In our initial -- this is baked in, to say.
18 Once we get here, there is an existing 69kV line that is
19 opened by Navopache. And the thesis for this design was
20 dependent on being able to straddle that existing 69kV
21 line, as it orients to the northeast to Springerville
22 station and then cut back towards where our solar
23 facilities are.

24 In 2024 we approached TEP for the -- to gauge
25 their receptiveness to enter into an easement with us.

1 They told us that they would not be willing to entertain
2 that easement, and so that has led us to this design that
3 you see here, which is the latest and greatest.

4 So this is still predicated off of the good
5 neighbor agreement, and at this time there's other
6 subsequent development work there's going on. We have
7 aquatic resource delineation. We have topographical
8 analysis. We have cultural surveys, a Class III cultural
9 survey, and that helps to inform the design process that
10 led us to -- and also taking into account the existing
11 69kV plan was not on the table anymore.

12 This relegates us to taking the route that you
13 see here, which is predominantly a west-to-east
14 orientation, so it gets here, hits an angle, mono pole
15 orients it north, enters into the solar facilities and
16 where you see it ultimately connects into the project
17 substations and finishes up into the Springerville
18 Substation.

19 MEMBER HILL: Mr. Chair.

20 CHMN STAFFORD: Yes, Member Hill.

21 MEMBER HILL: There's the little nodule,
22 little -- I'm just noticing it. There's a little thump
23 out. Can you talk about -- yeah, right there.

24 MR. PATTON: Right. So thank you for
25 pointing this out. This is something that we've

1 identified as part of, again, our development process is
2 to in sequence conduct cultural surveys.

3 A cultural resource was identified here and
4 for us, we take that into account and we bake that into
5 our design to have no impact on that resource. So it's
6 purely an avoidance measure.

7 MEMBER HILL: Thank you.

8 MEMBER DICICCIO: Mr. Chair, one quick
9 question.

10 CHMN STAFFORD: Yes, Member DiCiccio.

11 MEMBER DICICCIO: Where is the TEP line
12 that you wanted to do the -- just approximately.

13 MR. PATTON: For clarification, the
14 existing TEP line?

15 MEMBER DICICCIO: Yeah, the one you wanted
16 to get in the easement area.

17 MR. PATTON: It's a Navopache line. It's a
18 69kV line here.

19 MEMBER DICICCIO: So you would have been
20 able to go a shorter distance if you were able to use
21 that?

22 BY MR. DERSTINE:

23 Q. I guess for clarification, Mr. Patton, you said
24 that it's a Navopache 69kV line, but you had to negotiate
25 with TEP to utilize that same corridor. What's the

1 relationship, then, where TEP owns the right-of-way but
2 the line serves Navopache?

3 A. (Mr. Patton) I'm not privy to the details of
4 the arrangement between Navopache and TEP. But that line
5 is sited on privately owned parcels by TEP. So it's a
6 private parcel that would ultimately have to grant us the
7 easement and their leadership, their team made it clear
8 to us that they were not willing to grant an easement at
9 that time.

10 And then just clarity's sake you can kind of see
11 this is, again, an iterative process. You can see the
12 different site designs as they have kind of matured,
13 again, for clarity.

14 Oop. I apologize.

15 You see where the red line is our initial -- our
16 jumping off point. From there, we are very keen to
17 engage our stakeholders, our neighbors. This helps
18 define where our substation and where our viewshed can be
19 minimized for our good neighbor agreement. And then you
20 see where we were initially routing up the 69kV. That
21 was no longer tenable. And then you see here following
22 this.

23 CHMN STAFFORD: And you're referring to
24 Slide 42 of Hearing Exhibit 7; correct?

25 MR. PATTON: My eyes aren't the best from

1 this distance, but, yes, yeah, I can see it there.

2 BY MR. DERSTINE:

3 Q. All right. That's the route selection and how
4 you got to the route that's presented to the committee in
5 the application.

6 Let's move to the kind of an overview of the
7 interconnection project in terms of what you plan to
8 construct, the various facilities, et cetera.

9 A. (Mr. Patton) My pleasure. So the line will be
10 approximately 27-mile-long gen-tie line. 345kV. AC,
11 which is the voltage in which the energy is delivered to
12 the Springerville station. It will connect the four
13 projects substations as I've denoted there, and it will,
14 again, will be single circuit from its origination point,
15 which is the westernmost substation, Substation 1 for
16 Lava Run Wind, until which point it gets to Substation 3,
17 what we call Project Substation 1 for Lava Run Solar, and
18 it will become double circuit. And from there it will
19 ultimately hit Substation 4 and then terminate at the
20 Springerville Substation.

21 The line does cross a couple of highways, which
22 I can denote here.

23 Q. Can you use your laser pointer while you're
24 describing these features, please?

25 A. (Mr. Patton) So Substation 1 is here. There is

1 a short span just under half a mile, .4 miles to be
2 exact. Then it orients itself to the northeast just
3 under a mile, .9 to be exact. This is where it crosses
4 Highway 60.

5 And from there it runs another tangent of
6 3.6 miles, so where it gets to Project Substation 2.
7 From Project Substation 2 it orients northeast again by
8 .9 miles, and then the longest run of this gen-tie spans
9 west to east 13.6 miles where it crosses Highway 180 and
10 the lower Colorado River.

11 It orients again north here roughly three miles.
12 It makes an avoidance for that cultural site. There you
13 kind of see the outer perimeter of the solo facility, it
14 orients west another 1.7 miles to Project Substation 3,
15 which is the first substation of the solar project.

16 Orients another mile and a half to Substation 4.
17 And then you see in this expanded view its orientation
18 and design to its terminal position at the Springerville
19 Station.

20 Q. Okay. I think your next slide kind of breaks
21 out what you already covered, which was walking the
22 committee through the route for the project. And I think
23 you've actually covered it here already. Unless you
24 wanted to -- why don't you, yeah, move on to that, and is
25 there anything you want to add or pick up from that

1 overview description? I think you largely did it using
2 your laser pointer with the map slide.

3 A. (Mr. Patton) Yeah, I apologize for not having
4 that up for sequencing. But hopefully tracking with the
5 laser pointer on the map was clear enough.

6 Q. Right. Okay. So let's move on. And --

7 MEMBER COMSTOCK: Mr. Chair?

8 CHMN STAFFORD: Yes, Member Comstock.

9 MEMBER COMSTOCK: Excuse me, Mr. Derstine.

10 MR. DERSTINE: Yes.

11 MEMBER COMSTOCK: The crossing over the
12 Little Colorado, is that over a canyon? What's the
13 elevation of the wire above the river itself?

14 MR. PATTON: It will span over the lower
15 Colorado River, but I would defer to Mr. Casteel over the
16 specifics of the canyon and what design considerations
17 were taken into account for that.

18 MR. CASTEEL: I'd have to get back on the
19 actual elevation over the canyon, but we'll have a
20 fly-through here in a bit, and we have a picture of that
21 so you could see what it looks like at the crossing.

22 MEMBER COMSTOCK: I'd appreciate knowing
23 the elevation. But thank you, yes.

24 MR. DERSTINE: And Member Comstock, your
25 question is how high is the -- will the line be above the

1 Little Colorado?

2 MEMBER COMSTOCK: Above the water, yes.

3 MR. DERSTINE: Okay. We'll get that
4 information for you.

5 MEMBER COMSTOCK: Thank you, sir.

6 BY MR. DERSTINE:

7 Q. Okay. Let's move on to the -- I think your next
8 slide involves the structure types and then the heights
9 and configuration, please.

10 A. (Mr. Patton) Yes. So the structure types will
11 be an arrangement of tangent mono poles, angle mono
12 poles, dead-end mono poles, common depiction of what you
13 would see here is on the right.

14 The selection of these structure types will
15 either be from galvanized steel or from weathering steel,
16 and they will be self-supporting.

17 The specs as we have assigned are a maximum
18 height of 180 feet. The maximum span length is -- so the
19 length between each structure, the maximum would be
20 1200 feet with a typical range between 675 and 770 feet.

21 So there's a little bit of design flexibility
22 based off of topography and a number of other features.

23 The minimum ground clearance as stated is
24 20 feet, and the anticipated number of structures is
25 capped at 200.

1 Q. I think in the proposed or draft CEC that I
2 prepared, I have -- I included that the structure heights
3 would be 199, I think that's just a number that was stuck
4 in my head. But it's my understanding that we're
5 committing to -- to maintain the structure heights at
6 180 feet and we'll make that change in the CEC. Do I
7 have that right?

8 A. (Mr. Patton) Yes, sir.

9 Q. All right.

10 MEMBER KRYDER: Mr. Chairman.

11 CHMN STAFFORD: Yes, Member Kryder.

12 MEMBER KRYDER: Could you build a little
13 bit for me. I think it's probably Mr. Patton on the
14 amount of concrete. I noticed that in some of the
15 comments. Just instruct -- instruct me and if the other
16 committee members also would like some instruction on
17 that, about the size of the foundation for these
18 structures and such. Thank you.

19 MR. PATTON: My pleasure. So the
20 foundation design is still something that has to be
21 determined. We determined this through the launch of
22 what's called a geotechnical survey.

23 And so we've done some preliminary
24 geotechnical assessments, we are actually gearing up to
25 do geotechnical assessments as we speak. We have men out

1 in the field who are staking and beginning to conduct
2 that exercise.

3 The geotechnical study informs the geology
4 and the compression strength of the material subsurface.
5 And so each structure you kind of have to think of it as
6 its own little construction project. Right?

7 And so when we have the geotechnical
8 report, which will cover the footprint of this gen-tie,
9 that'll inform how each and every single structure needs
10 to be constructed. There'll be different methodologies
11 based off of different topographies, but generally we go
12 through what's called with a DTH hammer rig -- and I
13 apologize, my background is more blue collar, so if I get
14 down a rabbit hole, please feel free to stop me.

15 CHMN STAFFORD: What was the acronym you
16 just used?

17 MR. PATTON: DTH, down-the-hole hammer rig,
18 that uses a rock auger. And so from there, the depth in
19 which that rock auger will have to drill is going to be
20 determined by the geotech report. And from there, there
21 is a number of different ways to establish the
22 foundations and the amount of concrete that's going to be
23 used for each of those structures. I will say that this
24 is not unprecedented topography for projects like these.

25 There are several lava fields across the

1 country that have transmission lines, closest of which is
2 kind of outside of the San Diego area. There's also
3 transmission lines around the Columbia River Gorge, which
4 is a volcanic field, Hawaii.

5 So it is not uncommon and there is several
6 different ways to approach the foundation setting for
7 these structures.

8 MEMBER KRYDER: Okay. Thank you very much.
9 It sounds like above ground you've done pretty good
10 homework. Below ground not so much maybe.

11 CHMN STAFFORD: The work continues.

12 MEMBER KRYDER: Yeah. TBD, to be
13 determined.

14 MR. PATTON: Ongoing, I would say. I
15 didn't mean to cut you off.

16 MEMBER KRYDER: I've flown those airplanes,
17 too. So the point of all of this is, and I'm again
18 kind -- trying to address some of the commentary I read
19 in the public statements.

20 You're going through a lava magnum, as I
21 understand, and so what would be your worst-case scenario
22 since you are asking this committee to approve a 200-foot
23 corridor? Is it possible you could get out there and you
24 could not get a big enough, what was the phrase you used,
25 down in the bottom of the hole or something.

1 MR. PATTON: A DTH hammer.

2 MEMBER KRYDER: You'd open a hole and kind
3 of there's a bottomless pit? I mean, is that a
4 possibility? Not bottomless, literally.

5 MR. PATTON: So I want to clarify what we
6 were requesting is a 500-foot corridor, and this is
7 exactly for this reason. It's for us to have a room --
8 an area to which we have a degree of flexibility.

9 MEMBER KRYDER: Okay.

10 MR. PATTON: 500 gives us the degree of
11 certainty to know we have the flexibility for different
12 design iterations and different construction
13 methodologies that need to be needed on case by case for
14 each of these respective structures.

15 MEMBER KRYDER: I must have read it wrong.
16 I thought it was a 200-foot corridor.

17 CHMN STAFFORD: I think it's a 200-foot
18 right-of-way final, but the corridor is always bigger.

19 MEMBER KRYDER: 500. Okay. So putting a
20 hole and filling it with concrete into magnum, I mean,
21 it's basically the stuff in my barbecue grill, you know,
22 porous rock, looks like that could be a serious problem.
23 And I think that's what the public comment that I read
24 was addressing.

25 How much -- what's the worst-case scenario

1 you can imagine or your company could imagine on this?

2 MR. PATTON: A very expensive foundation
3 design. And so that --

4 MEMBER KRYDER: Yeah. I get that. I know
5 it's like my son says about things. Dad, that's not a
6 problem, that's an expense, okay? I get that.

7 MR. PATTON: Yes, sir.

8 MEMBER KRYDER: But is the hole 15 feet or
9 50 feet deep, that's an issue. Have you done any
10 speculating, even though you've got your surveyors out
11 there as we speak, as you said a moment ago, have you
12 done any speculating as to, gosh, if you folks who are
13 surveying find this, we're in deep water? Talk to me.

14 MR. PATTON: Yes, sir, so I will say it is
15 the nature of engineers to think in the worst-case
16 scenario and we are a very engineering-heavy firm.

17 And so that is, again, exactly what the
18 need of the geotech report does. That gives us a sense
19 as to the geology. They use their own coring samples so
20 they take a drill bit essentially and they drill down as
21 far as they can to understand the topography and that
22 helps to inform the foundation design. And so that
23 report is -- it is incumbent us to have that report
24 sooner rather than later.

25 And so for us, again, the stated time line

1 as constructed in 2027, we are conducting that
2 geotechnical report in 2025. So that way I can get the
3 engineers and I can get the construction team to begin
4 thinking about what the worst-case scenario is now.

5 Again, I think that there is operating
6 precedent for building on topography such this. It's all
7 basalt. Basalt can be either very porous and not uniform
8 or it can be extremely hard.

9 And all that is going to be predicated off
10 of the site-specific conditions. And so we are doing
11 that investigative work now, and I can assure our
12 engineers will be penciling out the worst-case scenario,
13 the most expensive scenario, and we will begin to
14 formulate a strategy for how we will build.

15 MEMBER KRYDER: Okay. Continuing this a
16 little bit, I'm still going to push on you.

17 MR. PATTON: Sure.

18 MEMBER KRYDER: Of the approximately 29 or
19 27 or 9 or 30 back-of-the-envelope 30 miles that you're
20 going to be building, how much of it is across porous
21 rock of the sort we're speaking? Do you know? I mean a
22 third, two-thirds? Three-fourths? Half? None?

23 MR. PATTON: I have a figure in my head
24 that is closer to roughly a third, but I don't want to
25 speak out of school. It's something I can circle back to

1 you and confirm. I don't want to give you --

2 MEMBER KRYDER: I'd appreciate that.

3 MR. PATTON: Yes, sir.

4 MEMBER KRYDER: Back-of-the-envelope, I can
5 take that. So 10 miles out of 30 miles is going to be
6 real dicey, and the rest of it is much more solid rock to
7 use that term?

8 MR. PATTON: That is my general assessment.

9 MEMBER KRYDER: Okay. Just kind of talk to
10 whoever you can, bring us a little more information, I'd
11 sure appreciate it. Thanks.

12 MR. PATTON: Yes, sir.

13 BY MR. DERSTINE:

14 Q. Following up on Member Kryder's questions, I
15 think what some of the public comments raised and the
16 concern would be that within the Springerville volcanic
17 field, potentially you have areas which have voids or
18 maybe it's an old vent, you may encounter any number of
19 geological conditions. That's what you're looking to
20 identify through your geologic report; correct?

21 A. (Mr. Patton) Geotechnical report.

22 Q. Geotechnical report?

23 A. (Mr. Patton) Yes, sir.

24 Q. And then based on the finding in the
25 geotechnical report you then have the ability to then

1 locate your structures in the best possible location to
2 avoid areas subsurface that may present a problem in
3 terms of the foundation for those structures; correct?

4 A. (Mr. Patton) Yes, sir.

5 Q. And you have the flexibility not only within
6 moving side to side within your 500-foot corridor, but
7 you also have the ability to span areas, extend the
8 distance between structures to avoid problem areas that
9 may not afford you a good footing for a given pole?

10 A. (Mr. Patton) Yes, sir.

11 Q. Okay.

12 MEMBER KRYDER: Thank you very much,
13 Mr. Derstine. That's great.

14 BY MR. DERSTINE:

15 Q. So we were getting to the corridor and the
16 right-of-way, and you mentioned it's a 500-foot corridor
17 that we're requesting. I also note that there is one
18 area where you're asking for 700 feet and another area
19 that we're requesting 3200 feet. Would you cover that,
20 please?

21 A. (Mr. Patton) Yes. So it will be, I'll use the
22 pointer here, for design flexibility we are requesting a
23 variable-width corridor. The overwhelming majority of
24 this line will be a 500-foot corridor, and that's what
25 we're requesting from this body.

1 As you can kind of see here where this angle
2 tangent is here, what we've been able to assess is that's
3 why we're requesting a variable width of up to 700 feet,
4 this gives us the ability for staging, lay down yards,
5 and safety, which is paramount for us whenever we're
6 constructing anything. That gives us that variable
7 width. The variable width gives us that flexibility.

8 Predominantly 500 foot all along these runs.

9 And then when we get to our terminating position
10 within the Springerville Station, that is where we're
11 requesting up to a 3200-foot corridor. And this allows
12 us to incorporate the feedback from TEP, because we are
13 essentially marrying up our infrastructure.

14 It's not just our infrastructure. We're having
15 to take into account what already exists today, and then
16 we have to understand what the plant is going to want to
17 see from a safety perspective, how we can incorporate
18 that into our construction practices. And so hence why
19 we have at the terminating position a 3200-foot-wide
20 corridor.

21 Q. So you're essentially just draping this
22 3200-foot corridor, this footprint over the Springerville
23 Substation to allow you to work with TEP and whatever
24 sort of final interconnection design and engineering so
25 that we have the flexibility to enter into whatever bay

1 TEP tells us is our interconnection point?

2 A. (Mr. Patton) Yes, sir. I can tell you from
3 experience I've built seven of these substations and each
4 one is its own project in terms of how it connects in.
5 And we're very keen to make sure that we have the
6 flexibility for safety, for design, for engineering, and
7 making sure that we're not relegated to -- we're not put
8 into a corner, so to speak.

9 Q. Okay.

10 A. Pun intended.

11 CHMN STAFFORD: Member Hill, you had a
12 question.

13 MEMBER HILL: So the 3200-foot corridor
14 will eventually be finalized as a 200-foot right-of-way;
15 is that correct? Or do you think that you're actually
16 going to need, depending on what the interconnection
17 requirements are and the structures that you need, we've
18 said the right-of-way, final right-of-way will be
19 200 feet. Is that for the entirety of the project, or do
20 you think that there, you might need a little more space
21 going into the substation?

22 MR. PATTON: Well, the right-of-way itself
23 will be established with ASLD up until it gets to that
24 private parcel, and from there it's an easement that we
25 need to get.

1 So the corridor that we're requesting is
2 the 3200-foot corridor through the CEC. When we get to
3 that corridor, it's a private land parcel. It's just an
4 easement we have to get.

5 MEMBER HILL: And that's Tucson Electric
6 Power ownership?

7 MR. PATTON: Yes, ma'am.

8 MEMBER HILL: Thank you for that
9 clarification.

10 CHMN STAFFORD: Thank you, Member Hill.
11 Mr. Derstine.

12 MR. DERSTINE: Thank you.

13 BY MR. DERSTINE:

14 Q. And that 200-foot right-of-way, that's
15 sufficient not only for the single circuit roughly
16 26 miles of the interconnection project, but the 200-foot
17 right-of-way will also be adequate when you add the
18 second circuit at the last mile or so of the project; is
19 that right?

20 MR. PATTON: Yes, sir.

21 CHMN STAFFORD: It's because the second
22 circuit will be on the same set of poles as the first;
23 correct?

24 //

25 //

1 BY MR. DERSTINE:

2 Q. Is that correct, Mr. Patton?

3 A. (Mr. Patton) Yes, sir. The double circuit will
4 share the same structures.

5 Q. Okay. In terms of who are we working with and
6 who is the party that will grant us the right-of-way for
7 the line?

8 A. (Mr. Patton) So we have a pending application
9 now with ASLD. That is where the 200-foot right-of-way
10 comes from that secures the land rights for the gen-tie.

11 And as part of crossing highways US 60 and US
12 180, we will need to get encroachment permits from ADOT,
13 the Arizona Department of Transportation.

14 Q. So your slide here, 55, which is Applicants'
15 Exhibit 7, says the right-of-way application has been
16 submitted to ASLD.

17 Any more information in terms of timing or where
18 you are in that process?

19 A. (Mr. Patton) We are in the process now. I
20 don't know to what degree I can speak on it in a public
21 forum, but it is pending and ongoing.

22 Q. Okay. Anything else you wanted to add on the
23 corridor and the right-of-way request that we're making
24 to the committee?

25 A. (Mr. Patton) Just to speak as it dovetails to

1 the right-of-way with the ASLD and to the CEC that we're
2 requesting from this body, is this being state trust
3 land, there are grazing lessees.

4 So some of these families have been here for
5 generations since they settled. It is in the nature of
6 our business, our business model, to approach those
7 grazing lessees and to understand what feedback they have
8 for us in terms of -- I come from a blue collar
9 agricultural family, so understanding when they're going
10 to be turning cattle over, what fences they're concerned
11 about, what cattle guards need to be installed.

12 And so we enter into with each respective
13 grazing lessee what's called a construction impact
14 agreement. And that's my job to understand what their
15 concerns are and how we can satisfy those concerns both
16 for the grazing lessees, but ultimately for ASLD.

17 MEMBER KRYDER: Mr. Chairman.

18 CHMN STAFFORD: Yes, Member Kryder.

19 MEMBER KRYDER: Another question,
20 Mr. Patton.

21 Are there any residences close to the area
22 with your corridor?

23 MR. PATTON: The closest residence is
24 1.8 miles.

25 MEMBER KRYDER: That's 1.8?

1 MR. PATTON: Yes, sir. I don't want to
2 speak out of turn, I think that's the exact length. And
3 that is the private landowner that we entered the good
4 neighbor agreement with.

5 MEMBER KRYDER: And there's just one that's
6 kind of within that proximity within the mile and a half,
7 two mile.

8 MR. PATTON: Yeah. Underneath two miles,
9 that's the only one, yes, sir.

10 MEMBER KRYDER: Thank you.

11 CHMN STAFFORD: Yes, Member Fant.

12 MEMBER FANT: Thank you, Mr. Chair. Do the
13 grazing lessees, I assume those are stake grazing leases?

14 MR. PATTON: Yes, sir.

15 MEMBER FANT: Benefit in any way, shape, or
16 form financially from the wind project?

17 MR. PATTON: Each construction impact
18 agreement is different, some grazing lessees may request
19 that, some grazing lessees may not.

20 CHMN STAFFORD: I seem to recall you
21 testified earlier that there are eight entities with nine
22 grazing leases for the footprint of the project
23 including -- I think that included the wind project and
24 the transmission line?

25 MR. PATTON: Yes, sir.

1 CHMN STAFFORD: Okay. And so those leases
2 will continue, even if the wind and transmission line are
3 both constructed; correct?

4 MR. PATTON: Yes, sir.

5 CHMN STAFFORD: Okay. Now, were there any
6 leases for the portion of the solar for the state land
7 that the solar project is on?

8 MR. PATTON: Excellent question. So we do
9 have a private landowner who's participating in the solar
10 project on the state land portion. That same landowner
11 is also the grazing lessee with state lands, and so he
12 has a private lease that is par for the course with these
13 solar agreements, and then he will have a construction
14 impact agreement specific to his grazing parcels on ASLD
15 land.

16 CHMN STAFFORD: Okay. So does that
17 individual have other grazing leases on state land that
18 won't be impacted by the solar project?

19 MR. PATTON: Yes, sir.

20 CHMN STAFFORD: Okay. And I'm assuming
21 that because he's agreeing to give you the easement to
22 his private property for the solar project and that he
23 will be unable to graze cattle on the solar project that
24 he is made whole in some way by being allowed to graze
25 the cattle that he would have elsewhere.

1 MR. PATTON: Yes, sir, that is correct.

2 CHMN STAFFORD: Okay. But then -- but the
3 transmission line and the wind project itself won't
4 affect the grazing leases for those.

5 MR. PATTON: No, sir, but there will be.
6 It's a construction impact agreement, so you have to
7 imagine that throughout the course of activities and even
8 over the life cycle of these projects there will be need
9 for us to go out and service that, and the grazing
10 lessees will be relatively unimpacted, but there is
11 impact.

12 And so we want to make sure we codify that
13 and make sure we're taking into account all their
14 concerns.

15 CHMN STAFFORD: Well, more so during the
16 construction than after, once it's -- once it's all
17 completed then it kind of goes back to normal but with
18 these additional structures there.

19 MR. PATTON: Yes, sir.

20 CHMN STAFFORD: Okay. Thank you.

21 Mr. Derstine.

22 MEMBER COMSTOCK: Mr. Chairman.

23 CHMN STAFFORD: Oh, Member Comstock.

24 MEMBER COMSTOCK: Excuse me. Mr. Patton,
25 do you know long a grazing lease is good for?

1 MR. PATTON: A grazing lease with ASLD?

2 MEMBER COMSTOCK: Yes, sir.

3 MR. PATTON: My understanding is that some
4 of these lessees trade them almost like commodities.
5 Right? Some of them could be traded as in like an
6 auction, some of them can be passed on down through their
7 estate.

8 And so I have pulled all of the grazing
9 lessees that was in Maricopa County and I pulled a line
10 list of every grazing lessee, but the specifics of each
11 individual lease is not known to me at this time.

12 MEMBER COMSTOCK: So just a follow-up, if a
13 lease changes hands, what happens under the project?

14 MR. PATTON: The language in the
15 construction impact agreement says that our agreement
16 carries with the grazing lease.

17 MEMBER COMSTOCK: And the current lessee
18 has the right to do that, to obligate somebody in the
19 future?

20 MR. PATTON: I'm not a lawyer, so I can't
21 speak to that with --

22 MEMBER FANT: Yes, they do.

23 MR. PATTON: -- 100 percent certainty, but
24 I imagine that it's something that is -- this is
25 ultimately also vetted with ASLD as well. And so they're

1 going to be comfortable, they have to sign off on the
2 language that we provide in there for assignment.

3 CHMN STAFFORD: Yeah, because the State
4 Land Department, they're this lessor, so it's up to them
5 to tell the lessee if they can transfer the lease or not.

6 And so any kind of transfer of the lease
7 would have to be approved by the lessor. It could be
8 prohibited, but I don't think it is. It sounds like
9 they're not typically prohibited. That the State Land
10 Department gives people the leeway to transfer these
11 grazing leases. I think the duration of these can be 10,
12 20 years or more, can't they? I'm looking at
13 Mr. Derstine, he's the lawyer.

14 MR. DERSTINE: I'm the lawyer but not the
15 expert. Can anyone speak to the duration of the grazing
16 leases?

17 MR. PATTON: I can speak to knowing that
18 some of these grazing lessees have had these leases for
19 decades. For decades.

20 CHMN STAFFORD: Member Fant.

21 MEMBER FANT: I would suggest looking at
22 the Hashknife outfit, ranch, south of Holbrook. Some of
23 those grazing leases are from the 1800s.

24 MEMBER KRYDER: Doug, we can't here you.

25 CHMN STAFFORD: Speak into the microphone.

1 MEMBER FANT: Some of the grazing leases
2 with the Hashknife Ranch outfit southeast of Holbrook go
3 back to the late 1800s.

4 MEMBER KRYDER: That is absolutely correct.
5 They're virtual assets that pass from generation to
6 generation.

7 MEMBER COMSTOCK: Mr. Chairman, just making
8 sure for future generations of ranchers in this state
9 that that's noted for the record and has been discussed.

10 CHMN STAFFORD: Thank you. Thank you. And
11 then I thought Member Fontes has a question.

12 MEMBER FONTES: It's withdrawn. Been
13 answered, Mr. Chairman.

14 CHMN STAFFORD: Thank you. I'm going to
15 give you fair warning, Mr. Derstine, we have a hard stop
16 at 2:45. The court reporter and I have another matter to
17 hear. It's a prefiling conference we have to hold in a
18 different matter. So we will take a recess from 2:45
19 until approximately 3:30. And we'll come back for this
20 hearing.

21 MR. DERSTINE: So the next item that we
22 have up is the virtual tour, but Mr. Casteel, I think
23 your virtual flyover takes longer than 10 minutes;
24 correct?

25 MR. CASTEEL: Yeah. I would suggest we

1 take that break and come back and then I'll go through
2 the flyover.

3 CHMN STAFFORD: All right. Well, then I
4 guess we can begin our recess now. We'll come back at
5 3:30. We stand in recess.

6 (Recess from 2:47 p.m. to 3:36 p.m.)

7 CHMN STAFFORD: Let's go back on the
8 record.

9 Mr. Derstine, I believe when we left off
10 you were about to commence the virtual tour.

11 BY MR. DERSTINE:

12 Q. Well, I'm going to commence it by asking
13 Mr. Casteel to get us started on the virtual tour. Give
14 us maybe a lay of the land using the slides that you have
15 or the maps that you have up here. And then you'll
16 narrate the flyover, the virtual tour for the committee?

17 A. (Mr. Casteel) Sure will.

18 Q. Okay.

19 A. (Mr. Casteel) Is everybody ready?

20 Before we get started, I just wanted to get back
21 to Member Comstock and with the -- you wanted an
22 elevation difference between -- for the canyon for Little
23 Colorado River and we have that for you.

24 MEMBER COMSTOCK: Yes, sir.

25 MR. CASTEEL: So the line is always going

1 to be approximately 25 feet above the ground, but the
2 canyon that we're crossing is about 100 feet deep, so the
3 line will be approximately 125 feet from the bottom of
4 the canyon.

5 MEMBER COMSTOCK: Thank you.

6 MR. PATTON: Member Kryder, I also have a
7 clarification to your inquiry that you posed to me
8 earlier about the miles of the line that span across the
9 lava field. We ran that to ground, and we are running
10 across about 16 and a half miles across the lava field.

11 So apologies for speaking out of turn. I
12 think I mentioned one-third. It's roughly two-thirds.

13 MEMBER KRYDER: Pretty close.

14 CHMN STAFFORD: Thank you.

15 MR. CASTEEL: Okay. We can begin.

16 So we're going to start here with an
17 overview of the interconnection project, the CEC
18 corridor.

19 MR. DERSTINE: Can you hear him okay? Do
20 you want him to pull that mic up a little bit?

21 MR. CASTEEL: The map we have on the screen
22 here shows prominent features in the area, and we've
23 shown that the applicants' proposed wind and solar
24 facilities are also identified. In purple you'll see the
25 wind facility to the left of the image, and on the right

1 side in the black outline you see the solar facility.

2 We've also identified the Little Colorado
3 River and the highways in the area, including US 60 and
4 180 substations are shown as well. You can turn it.

5 Oh, just one more thing. Can you pause for
6 a second. Just one more thing, this fly-through does
7 include simulations of the applicants' transmission
8 towers. So we've also included the simulations from the
9 preliminary wind turbines, so you'll see those as well.

10 And the KOPs that we're showing are on the
11 placemat that you have on the backside, the
12 KOP locations. And Ms. Casteel will review those in
13 detail in her testimony.

14 So there will be a total of eight stops,
15 six of those is KOPs and two more, one is the crossing of
16 Little Colorado River and a view of the TEP generating
17 station.

18 All right. Please play.

19 So we'll start the tour at what we've
20 identified as KOP 6. This is located at south of the
21 interconnection CEC -- interconnection project CEC
22 corridor. This is on US 60. It's at approximately
23 milepost 373.5.

24 So this is the view from US 60. You'll see
25 the transmission towers in the background with the

1 preliminary wind turbines in the background as well.

2 CHMN STAFFORD: What's the height of those
3 wind turbines in this shot?

4 MR. CASTEEL: Just a second, I'll confirm
5 that.

6 CHMN STAFFORD: Because transmission towers
7 are 180 feet; correct?

8 MR. CASTEEL: Correct. Max 180, yes.

9 MEMBER HILL: Mr. Chair.

10 CHMN STAFFORD: Yes, Member Hill.

11 MEMBER HILL: You mentioned two potential
12 finishes in the transmission lines. What's the finish
13 represented in this illustration?

14 MR. CASTEEL: I'm sorry, can you repeat
15 that again?

16 MEMBER HILL: The finish on the poles.

17 MR. CASTEEL: The poles?

18 MEMBER HILL: Uh-huh.

19 MR. CASTEEL: We anticipate them to be
20 weathered. We've modeled weathered and galvanized, but I
21 think the applicant is leaning towards weathered.

22 MEMBER HILL: Okay. And this is the
23 weathered look rather --

24 MR. CASTEEL: The weathered look of the
25 poles, yes, are in the simulations.

1 MEMBER HILL: Okay. Thank you.

2 MR. CASTEEL: And the height of the
3 turbines would be up to 654 feet. That's the blade. But
4 the turbine itself would be 387 feet.

5 CHMN STAFFORD: Thank you.

6 MR. CASTEEL: You can unpause.

7 From here, we'll travel around what is
8 substation number 1 to KOP 3. KOP 3 is located on the
9 northern side of the CEC corridor. This is going to be
10 located -- oh, actually, on US 60 as well. This will be
11 at milepost 371.7. Again, the transmission towers are
12 here in the foreground with the turbines in the
13 background. It's the similar height to the previous KOP.

14 You can play. From here we'll travel east
15 along the CEC corridor to location at KOP 5. The terrain
16 you see there is Cienega Draw. And the purple outline is
17 the applicant's project area for the wind facility. So
18 we'll be leaving that and continuing east along the CEC
19 corridor.

20 This is KOP 5. And this is going to be
21 located on County Road 4365. The transmission towers are
22 right there in the foreground heading east.

23 BY MR. DERSTINE:

24 Q. So just to clarify what we're seeing here is the
25 simulated condition that would be shown in the

1 simulations that Ms. Casteel will present. When she
2 presents them, you'll have the existing condition and
3 then the simulated condition, but you're simply using the
4 simulated condition here for -- to show the committee
5 what they would be seeing at this point on the -- along
6 the gen-tie route?

7 A. (Mr. Casteel) Yeah. That's correct. These
8 images are the simulated conditions. Ms. Casteel will
9 cover the existing conditions and the simulated
10 conditions in the -- that exhibit in her part of the
11 testimony.

12 Q. Thank you.

13 A. (Mr. Casteel) You can play.

14 So keep traveling east to KOP 2. KOP 2 is going
15 to be on US 180 at approximately milepost 390.

16 At this location you'll see the simulated
17 condition of the proposed interconnection project. This
18 would be the crossing of US 180.

19 On the left-hand side of the image you'll see a
20 lava feature that will be spanned by the project.

21 You can play.

22 We'll take a short trip to the Little Colorado
23 River and the crossing of the proposed project. So this
24 is -- this is the location where the project will cross
25 the Little Colorado River. It's a moderately incised

1 canyon as we discussed. It's about 100 foot deep. And
2 the vegetation along the Little Colorado River is dense,
3 dense shrubs. And the river is perennial, which means
4 it -- that -- I'm sorry, which means that it's flowing
5 year round.

6 MEMBER KRYDER: Mr. Chairman.

7 CHMN STAFFORD: Yes, Member Kryder.

8 MEMBER KRYDER: A question, Mr. Casteel.

9 You say it flows year round in
10 approximately this level or does it run on a lot of water
11 certain times of the year?

12 MR. CASTEEL: I would have to get back to
13 you on that. My understanding of that is that is normal
14 conditions, but I'll confirm for you.

15 MEMBER KRYDER: Okay. So it's your
16 understanding that this is more or less a year-round
17 picture.

18 MR. CASTEEL: Yeah. Our understanding is
19 that there is water in it year round.

20 MEMBER KRYDER: Okay. I was just
21 interested if -- if at some point we flood up, you know,
22 20 feet higher and something and it's a flash food
23 situation or not.

24 MR. CASTEEL: That's certainly possible
25 given the system.

1 MEMBER KRYDER: Thanks.

2 CHMN STAFFORD: I have a question. What's
3 the width of the gorge that the canyon -- whatever the
4 correct term is where the river's located?

5 MR. CASTEEL: That I'll also have to get an
6 exact dimension for you.

7 CHMN STAFFORD: Okay. Because what I'm
8 getting to is how far back from the edge of the gorge
9 will the structures be? I seem to recall testimony that
10 1200 feet would be the maximum span. I'm curious as to
11 what the width of this gorge is. And so how far back
12 from the edge of the feature will the structures be?

13 MS. CASTEEL: I'm not sure exactly how far
14 back the structures will be.

15 The Little Colorado River corridor from
16 canyon wall to canyon wall is approximately 300 feet
17 wide, and so it will span -- I don't know exactly where
18 it will be placed, but, you know, far enough away from
19 the edge that it would not compromise, you know, soil
20 erosion.

21 CHMN STAFFORD: Okay. Good. So the
22 structures should be at least several hundred feet back
23 from the edge of the gorge I'm calling it?

24 MEMBER KRYDER: Kind of a follow-up to that
25 question, Mr. Chairman.

1 CHMN STAFFORD: Yes, Member Kryder.

2 MEMBER KRYDER: As you look at that and you
3 go back 3 or 400 feet -- well, I'm going to stop there.
4 I need to rephrase my question. Sorry. I'll get back to
5 you later.

6 CHMN STAFFORD: Thank you.

7 MEMBER COMSTOCK: Mr. Chairman.

8 CHMN STAFFORD: Member Comstock.

9 MEMBER COMSTOCK: Do we know if there's any
10 recreational use in this part of the river: Kayaking,
11 anything that goes along here?

12 MR. CASTEEL: Our understanding is, no,
13 nothing of that nature. Certainly the area is used for
14 hunting and just general recreation.

15 MEMBER COMSTOCK: Thank you.

16 MEMBER KRYDER: Mr. Chairman.

17 CHMN STAFFORD: Yes, Member Kryder.

18 MEMBER KRYDER: The question I had was
19 directed toward the service roads and the roads to be
20 used during the construction.

21 Could you build on that for us a little
22 bit, Mr. Casteel.

23 MR. CASTEEL: If you're asking whether or
24 not the road will cross the canyon, no, that is not --
25 that is not anticipated. But there will be access roads,

1 and they will come up to a distance from the canyon, but
2 we will not cross it.

3 MEMBER KRYDER: There's --

4 CHMN STAFFORD: I seem to recall somewhere
5 in the application the mention that they would be using
6 helicopters to place the structures near the canyon so
7 they wouldn't have to get the road out so far.

8 MR. CASTEEL: It's always an option to use
9 that kind of equipment to -- to move that type of
10 equipment to a location, yeah.

11 CHMN STAFFORD: Was that a recommendation
12 or was that a -- something that the applicant had
13 committed to doing? I don't recall.

14 MR. CASTEEL: Well, it's -- I'd have to
15 look and see if we committed to it. But I would say that
16 the options are open just to be able to use different
17 types of equipment to move -- to move the structures.

18 CHMN STAFFORD: Thank you.

19 MEMBER KRYDER: Mr. Chairman, there are a
20 couple of issues there. One is are these precast forms?
21 And we established before with Mr. Perry [sic] that we
22 don't know how long they're going to be whether they're
23 15 feet deep or 250 feet deep. So bringing in material
24 by helicopter means bringing in fresh concrete the way a
25 transmit truck would in my backyard or will it be trucked

1 in?

2 I mean, somehow we're going to get a big
3 block of concrete in; right?

4 MR. CASTEEL: I mean, I would defer to
5 Mr. Patton for constructability.

6 MEMBER KRYDER: Okay. And then in addition
7 to the actual concrete, we're bringing in a number of
8 workers, and they have to come in in pickup trucks.
9 We're not going to pack them in on mules, I don't
10 imagine.

11 So is there a bridge across the Little
12 Colorado River at any point or are we going to have to
13 come in from opposite ends?

14 MR. PATTON: Member Kryder, if I may, we're
15 erring more towards the latter. We will not cross the
16 Little Colorado River. We would approach it from --

17 MEMBER KRYDER: I'm sorry, say that again.

18 MR. PATTON: We will not cross the Little
19 Colorado River. And so in terms of erecting those
20 structures, we would build access routes from either end.

21 MEMBER KRYDER: Okay. And the fact that
22 there are so few premade roads, I mean, Macadam roads or
23 any sort of road really looks like a major issue to me.
24 30 miles you have of this to construct and very few paved
25 roads to get to them. I don't know.

1 Get back to me if you could on whatever
2 information you have. Maybe it's the same surveyors that
3 are going to get that as -- are going to get the size of
4 the holes, but whatever -- get whatever information you
5 could, if you could, Mr. Perry, or -- Mr. Casteel. Let
6 me get your name. Thanks.

7 MR. CASTEEL: Understood.

8 MR. PATTON: Yes, sir.

9 MR. CASTEEL: Okay. I think we'll continue
10 on, then. You can play.

11 So we'll continue east along the CEC
12 corridor to KOP 1. KOP 1 is near Lower Coyote Road just
13 north of the CEC corridor.

14 So in this view, the simulated view, the
15 interconnection project's in the background. The
16 foreground here is the 69kV -- the existing 69kV
17 Navopache line.

18 You can play.

19 We will continue east along the CEC
20 corridor for a little bit here until we turn north.
21 We're going to come up on that angular area where the
22 design has been altered to avoid the cultural resource
23 site.

24 The black line you're seeing is now the
25 applicant's solar facility.

1 MEMBER KRYDER: Mr. Chairman.

2 CHMN STAFFORD: Yes, Member Kryder.

3 MEMBER KRYDER: Could we back up a little
4 bit to that jig jog there? Right.

5 Tell us again what that is for.

6 MR. CASTEEL: So that -- the angle there,
7 the deviation in the line, the applicant has done
8 cultural resources surveys on a approximately 300-foot
9 corridor which would be centered on the proposed
10 right-of-way. So it's part of that effort they
11 identified eligible cultural resource sites, and knowing
12 that information they revised the line there to avoid
13 that known site.

14 MEMBER KRYDER: Will Ms. Casteel be talking
15 about that tomorrow or something?

16 Is somebody going to tell us what you
17 found?

18 MS. CASTEEL: I'll be providing information
19 on the cultural sites -- or the cultural studies. We
20 don't talk about specific sites --

21 MEMBER KRYDER: Sure.

22 MS. CASTEEL: -- because there's some
23 confidentiality concerns with that.

24 MEMBER KRYDER: But you found something
25 important enough that I mean that's a serious jig jag.

1 MR. CASTEEL: Well, there's an effort to
2 avoid cultural resources, so they've made the effort to
3 do so. I'm actually not -- I don't know what exactly I
4 can say about what that site is, but regardless, it is
5 eligible under the historic preservation. So we -- and
6 then the applicant has went ahead and just avoided to go
7 around it.

8 MEMBER KRYDER: If you could give us some
9 information when you make your presentation.

10 MR. CASTEEL: Sure. Ms. Casteel will go
11 through that.

12 MEMBER KRYDER: Okay. Great.

13 CHMN STAFFORD: One at a time, please.

14 MR. CASTEEL: So we'll continue east here.
15 Again, the black outline is the applicant's solar
16 facility. We're going to come up on proposed
17 Substation 3, and we're going to land at not a simulated
18 view but more of an existing view of the TEP's generating
19 station.

20 And you'll notice the existing 345kV on the
21 right side of the image on the horizon with the
22 substation and the generating station in the background.

23 CHMN STAFFORD: And this is not one of the
24 KOPs listed on the placement; correct?

25 MR. CASTEEL: No, this is not a KOP.

1 CHMN STAFFORD: Okay.

2 MR. CASTEEL: You can play.

3 So when we move down the line here, just a
4 note that this is the double-circuit portion of the line
5 leading towards the generating station. Here's proposed
6 Substation 4. We'll head east. And then this will be an
7 overview of the existing conditions at the substation, a
8 point of interconnection.

9 We're going to move slightly to the east
10 KOP 4. This is just outside our study area, but provides
11 a view of the applicant's solar facility, and we've
12 actually simulated a portion of that solar facility.
13 You'll see the black on the left-hand side of the image
14 that is the simulated view of the solar facility.

15 The poles in this view are existing. This
16 is not the interconnection project. The interconnection
17 project poles are much farther back on the horizon on the
18 right side of the image.

19 CHMN STAFFORD: So what line is that in
20 this picture?

21 MR. CASTEEL: That's a 345kV. I'm not sure
22 the exact ownership. I believe it's shared.

23 CHMN STAFFORD: But it's connected to the
24 Springerville Generating Station?

25 MR. CASTEEL: Right. And it runs

1 north-south to the US 60.

2 CHMN STAFFORD: All right. Thank you.

3 MEMBER HILL: Mr. Chair.

4 CHMN STAFFORD: Member Hill.

5 MEMBER HILL: So to the discussion of roads
6 because it does seem like there's a lot of roads out here
7 that maybe aren't even labeled or we don't completely
8 understand, my thought was nearly every transmission line
9 requires a maintenance road adjacent to it. If you have
10 to do something different for this line -- and maybe this
11 isn't the place to have the conversation, but when we get
12 to environmental impacts or other things, there are a lot
13 of discussion about roads in the public comments.

14 Can you talk about how this road may or may
15 not be different than any other transmission line road
16 necessary for maintaining the facilities?

17 That would be helpful.

18 MR. CASTEEL: Sure. We can do so. I'll
19 talk to Mr. Patton about that. But at this point I don't
20 think there's anything that's unique about the roads that
21 are necessary.

22 MEMBER HILL: Yeah. At KOP 1, like, I
23 could see a road in the foreground, but I don't know
24 what's really roads and what's really --

25 MR. CASTEEL: Remember that there are

1 grazing, so there are a lot of --

2 MEMBER HILL: There's maintenance roads.

3 MR. CASTEEL: -- there's a lot of two-track
4 roads around, correct.

5 MEMBER HILL: Okay. Okay.

6 MR. CASTEEL: There are a few county roads,
7 but then there are some two-track roads, and that's
8 primarily on state land.

9 MEMBER HILL: I suppose the tour will
10 actually give me a better sense of all the roads.

11 MR. CASTEEL: If we choose to do the tour,
12 yes.

13 MEMBER HILL: Yes.

14 CHMN STAFFORD: We will do a tour.

15 MEMBER HILL: We'll do the tour.

16 MR. CASTEEL: Okay. Thank you for
17 confirming.

18 CHMN STAFFORD: These two-track roads you
19 mentioned, those are formed by, what, ranchers driving
20 their trucks through the area, or what?

21 MR. PATTON: Chairman, if I may speak to
22 that. Yes, they are typically placed in by the ranchers
23 who are currently grazing on there. And this side
24 dovetails into the construction impact agreements that we
25 have with our grazing lessees. It's not uncommon for us

1 to build a road and for them to grant access or -- for
2 the use of that road by our grazing lessee. They see it
3 as a net positive.

4 So that way when it comes to hauling their
5 equipment in and out they have an improved road that is
6 accounting for any potential washout, better aggregate,
7 et cetera.

8 CHMN STAFFORD: And that is maintained by
9 somebody else; correct?

10 MR. PATTON: Yes, sir.

11 CHMN STAFFORD: All right. Thank you.

12 MR. CASTEEL: You can play.

13 That generally concludes the flyover. This
14 is going to end with an overview of the eastern end of
15 the CEC corridor showing the applicant's solar facility
16 and the generating station substation. And then it will
17 zoom out a little farther to show the total area, the
18 total CEC corridor, and the prominent features we've
19 labeled beginning on the beginning slide.

20 And that concludes the flyover.

21 MEMBER KRYDER: Mr. Chairman.

22 CHMN STAFFORD: Yes, Member Kryder.

23 MEMBER KRYDER: This is not directly
24 related to the jurisdictional area of the committee, so
25 you guys don't need to answer, but if you could give me a

1 little help on this, is the Springerville plant still
2 fully operational?

3 MR. PATTON: I'll take that. Yes, sir.

4 MEMBER KRYDER: It is.

5 And is there a proposed deadline when it's
6 closing or is there anything about that?

7 MR. PATTON: TEP has recently announced
8 that they intend to do a natural gas refurb of that
9 plant, so a fuel switch converting it from coal to
10 natural gas. To my understanding nothing has been filed
11 with the ACC that indicates their timing as such. They
12 made that public position but haven't seen any subsequent
13 filings.

14 MEMBER KRYDER: And have they given any
15 time indication on that?

16 MR. PATTON: No, sir.

17 MEMBER KRYDER: Okay. And how do they get
18 their coal in now?

19 MR. PATTON: My understanding is there is a
20 rail line that comes from the north.

21 MEMBER KRYDER: So no highway needed, it's
22 just bring it from the mine and you're home?

23 MR. PATTON: Member Kryder, I can't really
24 speak to the logistics of their operation, so I'd be --

25 MEMBER KRYDER: Fine. I know it's out of

1 our jurisdiction, so, okay, thanks.

2 MR. DERSTINE: I'll note, Member Kryder, my
3 understanding -- and I can go back and subject to
4 confirming that I think TEP has announced that they
5 anticipate having their conversion from coal to natural
6 gas for Springerville units 1 and 2 was the two units
7 that TEP owns outright as I understand it by in or around
8 2009 to have the conversion in place.

9 CHMN STAFFORD: 2009?

10 MR. DERSTINE: 2029. 2029. Sorry, we're
11 going way back in time. It's my Wayback time machine.
12 2029 to have the conversion and the new technology.

13 So, yeah, I think that's what's being
14 planned for Springerville Generating Station and is also
15 I think what SRP has announced for the Coronado
16 Generation Station that they'll also convert their two
17 units to natural under some similar time line, and so
18 you'll have those two generating stations here in Apache
19 County that were slated to be closed just because of
20 increasing coal fuel costs and other environmental
21 considerations, and now the decision is being made to
22 fuel swap and convert them to natural gas generation and
23 keep those units operating.

24 MEMBER KRYDER: Thank you very much.

25 Is there a gas main that runs through there

1 now?

2 MR. DERSTINE: I don't know whether or
3 not -- my understanding is they will have to develop and
4 construct a gas supply for both of those plants. But I'm
5 sure that those plans are underway, and there have been
6 announced different projects to expand natural gas
7 delivery within the state of Arizona.

8 MEMBER KRYDER: Thank you.

9 MR. CASTEEL: You can go back to the slide,
10 those slides.

11 BY MR. DERSTINE:

12 Q. We touched on the route tour. I guess before we
13 get into your discussion of environmental compatibility,
14 do you -- does it make sense to preview the route tour
15 and what the committee will see?

16 Do you want to -- does that make sense to do
17 that now or do we want to save time at the end closer to
18 five to do that?

19 I just don't know what we have to pull up to
20 show -- give the committee a preview of the route tour.

21 A. (Mr. Casteel) Would you like to show the map,
22 our exhibit of the map?

23 Q. I think so, yes. And then you can kind of just
24 narrate in general kind of where we'll start and what
25 we'll be able to see at the different stops along the

1 way.

2 CHMN STAFFORD: That will be hearing
3 Exhibit 18 from the applicant; correct?

4 MR. DERSTINE: That's right.

5 MR. CASTEEL: If we can use the binder,
6 that's fine. But if not then we need to pull up on the
7 screen -- then we do need to load the exhibits on the
8 screen.

9 MR. DERSTINE: It sounds like we have it
10 ready.

11 MR. CASTEEL: We will leave here at
12 nine a.m. And we'll travel on US 60 through -- we'll go
13 through Show Low and then along US 60. We'll end up
14 hitting route Stop 1 which is near KOPs 3 and 6.

15 We'll -- Route Stop 2 is just down about a
16 mile. It's a location -- let me use the pointer. Sorry,
17 it's not working.

18 The route tour stop is just about a mile
19 down the road. That it is location of the nearest
20 residence to the CEC corridor. From there, we'll head
21 down to the interchange of US 60 and 180. We'll go north
22 on 180, and we'll hit Route Stop 3 which is on US 180
23 near the proposed crossing. It's KOP 2. It will be near
24 the proposed crossing of the interconnection project.

25 At that point, I think we have a decision

1 whether or not we want to keep going. We do have a
2 Route Stop 4 which is a few miles north of the study
3 area. It's on the road that takes you back to the TEP
4 generating station, but we can only go down a mile or so
5 on the road. It's restricted for obvious reasons.

6 It does provide some context for the next
7 nearest residences, and it does give us a crossing of the
8 Little Colorado River at that location. So we can decide
9 if we want to do that. But that's the reason that that
10 one's been planned.

11 From there, we would travel back south back
12 to 260, and we would head home first with a route tour
13 stop Number 5. We've designated the Safeway there
14 because it provides facilities for bathroom breaks and
15 snacks and things like that.

16 And then we would just home on 260 back to
17 the hotel or the casino where we are now.

18 BY MR. DERSTINE:

19 Q. And in general, can you give a sense of, I mean,
20 will we will be able to see much from the various tour
21 stops or, you know, can you preview what we're likely to
22 see from these various stops in terms of the -- how far
23 away the gen-tie line will be from any given stop?

24 A. (Mr. Casteel) It will be relatively close to
25 where the -- excuse me, relatively close to where the

1 crossing would be on the those highways. We're sort of
2 precluded from going in a lot of areas along the line
3 just simply because we don't have adequate pulloffs for
4 the vehicle that we're using. And the eastern half of
5 the line is somewhat inaccessible for the type of vehicle
6 that we have as well.

7 Q. Okay. And the time it will take, you're
8 estimating it will be roughly five hours, four and a half
9 to five hours?

10 A. (Mr. Casteel) Anywhere between four and five
11 hours, correct.

12 MR. DERSTINE: Okay. All right. Any
13 questions from the committee?

14 CHMN STAFFORD: Yes. From Stop 4 that road
15 where you go east and turn around and come back, does
16 that road actually -- that road actually crosses the
17 Little Colorado -- the Little Colorado?

18 MR. CASTEEL: Yeah. Just past where our
19 Route Stop 4 symbol is it's just to the east of that. So
20 we'd basically stop there as a review, and then we could
21 drive east, turn around and come back so we could cross
22 it that way. I don't think we can get out near it, but
23 we can certainly cross it in the bus turnaround and come
24 back.

25 CHMN STAFFORD: So we'll actually -- the

1 tour will actually cross the Little Colorado?

2 MR. CASTEEL: Yeah. We can do so, yeah.

3 CHMN STAFFORD: Okay. Now, looking at the
4 map, it looks like there's another river beyond where we
5 turn around. What is that? I don't see that labeled.
6 Am I missing it?

7 MS. CASTEEL: The dark line that you see
8 there is actually just a ridge line as opposed to a water
9 feature.

10 CHMN STAFFORD: Okay. All right. That
11 makes sense why it's not labeled as a water feature if
12 it's a ridge line. Thank you.

13 Any other questions from members about the
14 tour?

15 MEMBER HILL: Just a comment, Mr. Chair.

16 We got a lot of public comments about the
17 terrain, and I think there was some good comments about
18 the maps and the topo maps being -- you know, you
19 couldn't really appreciate the topographic changes, so
20 I'm looking forward to the tour so that I can actually
21 get a much better sense of the topographic change and how
22 this landscape and this project all fit together, so --

23 MEMBER COMSTOCK: Mr. Chairman.

24 CHMN STAFFORD: Yes, Member Comstock.

25 MEMBER COMSTOCK: Is 60 moving -- I take it

1 that's south and east. Is it forested in there, or is it
2 wide open where we can actually see something besides
3 trees?

4 MR. CASTEEL: It's mostly grassland with
5 juniper. So good views. There is -- you know, there is
6 some elevation changes. It's hilly. But there's --
7 won't be obstructed.

8 MEMBER COMSTOCK: Thank you.

9 CHMN STAFFORD: Any other comments or
10 questions from members about the tour?

11 (No audible response.)

12 CHMN STAFFORD: So we meet first in this
13 room about nine a.m., and then, Mr. Derstine, where would
14 the bus pick us up?

15 MR. DERSTINE: Mr. Casteel.

16 MR. CASTEEL: I'm asking the bus to come
17 out the door that we've entered here that this door
18 outside the conference center out in the parking lot to
19 pick us up.

20 MR. DERSTINE: And then I assume there will
21 be breakfast served ahead of our departure time at 9?

22 MR. CASTEEL: Yes. So breakfast is outside
23 here in the hallway at 7:30. And then we could eat and
24 then leave.

25 CHMN STAFFORD: All right. Excellent.

1 Any other questions from members about the
2 tour?

3 (No audible response.)

4 CHMN STAFFORD: All right.

5 MR. DERSTINE: Thank you for that,
6 Mr. Casteel. It seemed like it would be the right time
7 to preview it since we had talked about it.

8 And, Member Kryder, I pulled up the Tucson
9 Electric Power's announcement on their conversion of the
10 units 1 and 2 at Springerville, and according to the
11 announcement, it says that the Tucson Electric Power
12 plans to convert units 1 and 2 to coal fired
13 Springerville Generating Station to operate on natural
14 gas by 2030. So I was off by a year. Pretty good for
15 me.

16 Okay. We're ready to talk about all the
17 environmental studies that were performed in support of
18 the application. Mr. Casteel, you're going to start us
19 off with that testimony.

20 Why don't you start us by giving an
21 overview of the various resource studies that were
22 performed and where they can be found in the application.

23 CHMN STAFFORD: Before you answer that real
24 quick, I just want to clarify something for the record,
25 Mr. Derstine.

1 You've been referring to the placemat. The
2 placemat is not itself a separate exhibit?

3 MR. DERSTINE: No.

4 CHMN STAFFORD: It's just larger
5 representations of other things that otherwise appear in
6 the record.

7 I just wanted to get it in the transcript
8 of what the pictures in the placemat actually are and
9 where they are actually featured in either the
10 application or the applicants' exhibits.

11 MR. DERSTINE: Yeah. So the placemat
12 which, Chairman, to your point is not marked as a
13 separate exhibit. On one side it has the map of the CEC
14 corridor. And can someone tell me where that page is
15 located or what it -- if it's a figure within the
16 application?

17 MR. CASTEEL: Yeah, just a moment. I'll
18 make sure I get this accurate.

19 MR. DERSTINE: That's Figure 2,
20 Mr. Chairman, of the application which is Applicants'
21 Exhibit 1.

22 And then the other side of the placemat is
23 the map of the KOP locations that Ms. Casteel will cover
24 that are included in Exhibit E.

25 MR. CASTEEL: That's -- that exhibit

1 doesn't occur in our application, but is more just for
2 information for our tour. But it provides all the KOP
3 locations that are on the individual exhibits in
4 Exhibit E.

5 CHMN STAFFORD: So the back of the placemat
6 with the KOPs is kind of a compilation of showing where
7 all the different KOPs are which are features
8 individually on the pictures that are in Exhibit E to the
9 application?

10 MR. CASTEEL: Correct.

11 CHMN STAFFORD: All right. Thank you.

12 MR. DERSTINE: Thank you for that,
13 Mr. Chairman.

14 BY MR. DERSTINE:

15 Q. Okay. Overview of the environmental studies
16 that were performed.

17 A. (Mr. Casteel) Yeah. SWCA completed
18 environmental studies in support of Exhibits A through I
19 in the CEC application. Those include land use
20 recreation and existing plans. Exhibits A, B, F, and H
21 we did biological, visual, and cultural resources as well
22 as the noise and interference exhibits.

23 The study area associated with the CEC
24 application is a one-mile corridor centered on the
25 proposed route.

1 Q. And is that what's shown on Slide 72 which is
2 part of the Applicants' Exhibit 7?

3 A. (Mr. Casteel) Yes. It would be the dotted line
4 surrounding the CEC corridor.

5 Q. So the very resource studies that you're going
6 to take us through analyzed, for example, land use or
7 biological resources all within that dotted line buffer
8 that surrounds the gen-tie route that's shown on Slide 72
9 here in the hearing room which is part of our witness
10 testimony slides which have been marked as Applicants'
11 Exhibit 7?

12 A. (Mr. Casteel) Correct.

13 Q. Okay. It looks like you're going to start us
14 out of with a discussion of land use?

15 A. (Mr. Casteel) Yes. So the land use within the
16 study area is entirely within unincorporated Apache
17 County. The land ownership within the study area is
18 primarily state land and a portion being private.
19 90 percent of the CEC corridor is state trust land with
20 that 10 percent being privately held land that's TEP
21 parcels. Those areas of -- those areas are located --
22 the private parcels associated with TEP are located
23 around the generating station.

24 Q. Now I think you're going to take us through your
25 studies and findings regarding land use that are shown

1 and detailed in Exhibit B to the application, which is
2 Applicants' Exhibit 1 and also as mapped in the
3 Application Exhibit A-2?

4 A. (Mr. Casteel) Correct. SWCA completed a
5 desktop land use inventory to identify maps and existing
6 sources, including mapping and other sources of
7 information to identify the existing use.

8 We also completed a site visit in May of 2025 to
9 confirm that data and to update our studies.

10 Overall, as we mentioned, the existing land use
11 in the study area is undeveloped. We've called it vacant
12 on our map, but as we discussed, the study area is
13 primarily used for grazing, cattle ranching, but other
14 land uses within the CEC corridor include utilities,
15 there's highway transportation or highway right-of-ways
16 for transportation as well as the TEP generating station.

17 There's other pink areas shown on the map.
18 Those are smaller little mining areas that have happened.
19 But the TEP generating station up here identified in
20 pink.

21 CHMN STAFFORD: But those purple areas on
22 the southern -- I guess in the middle and in the eastern
23 end of the route, those are mining areas you said?

24 MR. CASTEEL: We've -- we saw that some of
25 the hillsides have been excavated for mining purposes,

1 but they're minor in terms of the study area.

2 CHMN STAFFORD: Are they active mines? Are
3 they just -- are they --

4 MR. CASTEEL: Not to -- I'm sorry. Not to
5 our understanding, no.

6 CHMN STAFFORD: Okay.

7 MEMBER HILL: Mr. Chair.

8 CHMN STAFFORD: Yes, Member Hill.

9 MEMBER HILL: But I do want to confirm that
10 the existing land use designations are ones that the
11 county has identified or --

12 MR. CASTEEL: I'll get into that in the
13 planned land use.

14 MEMBER HILL: Normally I'm one step behind.

15 MR. CASTEEL: No, no.

16 MEMBER HILL: But today I'm one step ahead.

17 MR. CASTEEL: No, you're one step ahead.

18 No, we'll get into that. But these are what we've
19 identified them as, but I'll get into planned land use --

20 MEMBER HILL: Great.

21 MR. CASTEEL: -- with the comprehensive
22 plan.

23 MEMBER HILL: Great.

24 MR. CASTEEL: As we touched on it a little
25 bit ago, there's grazing occurring within the study area

1 as more specifically along the CEC corridor. This is a
2 map of the -- as Mr. Derstine and Mr. Patton
3 identified -- the nine individual grazing leases held by
4 the eight distinct grazing lessees, which the
5 construction impact agreements will be executed and -- to
6 make sure that construction impacts are avoided or
7 mitigated during that time.

8 MEMBER KRYDER: Mr. Chairman.

9 CHMN STAFFORD: Yes, Member Kryder.

10 MEMBER KRYDER: Help me understand. So the
11 grazing leases are the ones along your corridor.
12 Certainly the grazing area -- the grazing lease covers a
13 much broader section than just as shown on that map what
14 is that on page 75 there?

15 CHMN STAFFORD: Slide 80.

16 MEMBER KRYDER: 80, yeah, sorry.

17 I was looking at that and comparing it with
18 the application map on A-3 in the application, and that
19 hit my eye first. It talks about existing land use on
20 A-3, which is on an unnumbered page than under the tab A
21 in the application that we were sent.

22 And the question I had was there's color
23 coding existing land use, agricultural, industrial. You
24 pointed out the industrial were some mineheads. The
25 Little Colorado River, transportation, utility, and

1 underdeveloped.

2 But I don't see anything on the map that is
3 painted green as though it was ag.

4 MR. CASTEEL: We did not identify the
5 grazing use as an existing use, but we wanted to make
6 sure that we provided this content right here to sort of
7 make sure you're aware that the project corridor is
8 certainly used for grazing and cattle ranching and
9 agricultural uses.

10 MEMBER KRYDER: That was the direction I
11 was looking at to try to get compatibility between the
12 that map and the one A-3 in the application.

13 So you're saying that because this is kind
14 of grassland, pretty good graze actually, that the
15 grazing leases probably go both above and below your
16 corridor; is that correct?

17 MR. PATTON: Yes, sir.

18 MEMBER KRYDER: Okay. That makes sense. I
19 just wanted to clarify that they weren't those little
20 bitty pieces 200 to 500 feet wide.

21 MR. CASTEEL: No, what is shown on the map
22 is just a subject to the CEC corridor, but there's
23 certainly grazing leases that expand north and south and
24 in all directions.

25 MEMBER KRYDER: Thank you.

1 CHMN STAFFORD: Speaking of agricultural
2 existing uses, back on slide 78 I do see a tiny little
3 splotch of green toward the eastern end on the south edge
4 of the corridor.

5 MR. CASTEEL: We've identified those as
6 existing cattle tanks and stockyards, places where, you
7 know, clearly it's used for ag, agricultural purposes.

8 CHMN STAFFORD: Okay. Thank you.

9 MEMBER KRYDER: Mr. Chairman.

10 CHMN STAFFORD: Yes, Member Kryder.

11 MEMBER KRYDER: To follow up on that, the
12 term cattle tank means a lot of different things. This
13 is a metal tank or this is a land pond.

14 MR. CASTEEL: Yes, this would be the, you
15 know, excavated outlay pond to catch --

16 MEMBER KRYDER: Okay.

17 MR. CASTEEL: -- catch rain, yes.

18 MEMBER KRYDER: Thank you.

19 BY MR. DERSTINE:

20 Q. Do you want to, I guess, state your conclusions
21 regarding the existing land uses and whether or not the
22 interconnection project is compatible with that use?

23 A. (Mr. Casteel) Yes. The interconnection project
24 is compatible with existing uses.

25 Q. And as you've identified, those -- those

1 existing uses are largely grazing activities under ASLD
2 grazing leases with some of these more minor, you know,
3 activities you've identified in the prior map.

4 A. (Mr. Casteel) Yes. It would be compatible with
5 existing uses because we would not restrict -- those
6 existing uses, whether they be transportation
7 right-of-ways or existing grazing uses and/or existing
8 uses for utility lines, they would continue to function
9 as currently they are currently functioning.

10 MEMBER KRYDER: Mr. Chairman.

11 CHMN STAFFORD: Yes, Member Kryder.

12 MEMBER KRYDER: Just in following that up,
13 your corridor will not be fenced, will it?

14 MR. CASTEEL: No. No, it's typically we do
15 not fence a transportation corridor -- or transmission --

16 MEMBER KRYDER: So you've obtained through
17 the proper authorities and from the lessees right to
18 build on that portion of their leases, but after you're
19 gone the cattle are going to graze right up to the bottom
20 of the pole; right?

21 MR. PATTON: I'll take this. Yes, sir. So
22 the right-of-way is granted through ASLD. We work with
23 the grazing lessees to understand their cattle operations
24 to where we sequence and stage around their operations if
25 they have certainly considerations where they want us to

1 put in a fence or typically what we're going to see is
2 cattle guards.

3 MEMBER KRYDER: Sure.

4 MR. PATTON: And we negotiate that as part
5 of a construction impact agreement. That is there's no
6 threshold for that, there's no test for that. It's just
7 us making that commitment to the grazing lessees.

8 MEMBER KRYDER: Very good. I just wanted
9 to clarify it. Thank you.

10 MR. PATTON: Yes, sir.

11 BY MR. DERSTINE:

12 Q. All right. We've covered existing land use.

13 Do you want to talk about the analysis that you
14 performed on planned land uses?

15 A. (Mr. Casteel) I do. And Member Hill just
16 stepped away.

17 Q. Oh.

18 A. (Mr. Casteel) But I can continue.

19 CHMN STAFFORD: Go ahead.

20 BY MR. DERSTINE:

21 Q. I think you're free to proceed.

22 A. (Mr. Casteel) Okay. The planned land uses were
23 identified using the Apache County comprehensive plan.
24 The planned land uses for the study area are mapped on
25 the right screen on the image, and there's defined

1 character areas established by the county's comprehensive
2 plan.

3 CHMN STAFFORD: That's slide 82 of
4 Exhibit 7, the presentation?

5 MR. CASTEEL: Correct.

6 BY MR. DERSTINE:

7 Q. And I was going to -- I'm not familiar with the
8 term character use. What does that mean?

9 A. (Mr. Casteel) They would be called character
10 areas.

11 Q. Character areas.

12 A. (Mr. Casteel) So character areas are defined by
13 the comprehensive plan which established the general
14 areas for planned land use. And I'll get into that in a
15 minute.

16 Q. All right.

17 A. (Mr. Casteel) But planned land use in a study
18 area it can be characterized as continued grazing, cattle
19 ranching, but there are provisions for lower and higher
20 density developments including residential, industrial,
21 commercial, institutional.

22 The majority of the CEC corridor is located
23 within what is defined as the range land character area,
24 and that purpose is to continue to allow cattle ranching,
25 farming, and other ag uses.

1 The other character areas are -- provide a
2 larger -- more ability for development, including density
3 requirements for residential areas, but also make
4 provisions for higher density in certain areas.

5 I want to also note that on the western end of
6 the interconnection project around -- a little farther
7 east but certainly within the orange, which is the
8 community village character area, which provides a higher
9 density development planned land use, there is something
10 called the Vernon area community plan, and that's a local
11 community plan. And it is advisory. It does not
12 establish character areas, but they have their own
13 local -- local suggestions that they would ask that the
14 county please consider when making permitting
15 requirements.

16 CHMN STAFFORD: Now, that's the one at the
17 eastern end where the Substation 1 is? Is that
18 characterized as community village? Is that the one
19 you're talking about?

20 MR. CASTEEL: Yeah, that is defined
21 community village. I'm sorry. I'm sorry. The western
22 edge.

23 CHMN STAFFORD: I don't see it on the --

24 MR. CASTEEL: We do not have it on the map.
25 It's a large -- it's a fairly large area that would

1 encompass the -- some of the wind facility, but also that
2 community village, but it is -- it's generally set up for
3 basically, like, a ZIP Code or that size of an area.

4 CHMN STAFFORD: And that's outside the
5 study area, so the community village doesn't appear on
6 Slide 82?

7 MR. CASTEEL: Community village is this
8 orange area right here.

9 CHMN STAFFORD: That's what I was just
10 asking about. I thought you said something to the west
11 of one -- there's another one to the west? Is that
12 what --

13 MR. CASTEEL: There is a -- there's another
14 local community plan that's called the Vernon area
15 community plan that is local in nature and provides
16 general goals for considering development in that area
17 that they asked the county to please consider when making
18 larger planned land use decisions.

19 CHMN STAFFORD: Local --

20 MR. DERSTINE: I think the Chairman --
21 Mr. Chairman, if I -- you're noting that the Vernon
22 community -- this Vernon area plan is at the western edge
23 near the starting point for the gen-tie line, and then I
24 think the Chairman was asking about another area plan to
25 the west?

1 CHMN STAFFORD: Right. To the east, I
2 think.

3 MR. DERSTINE: Or to the east. I'm sorry.
4 Yes.

5 CHMN STAFFORD: Because, like, where the
6 Substation 1 is it seems that's right in the middle of a
7 community village.

8 MR. CASTEEL: So the character area where
9 Substation 1 is is the community village character area
10 designated by Apache County comprehensive plan. So
11 there's three character areas within our study area.

12 MR. DERSTINE: Can you just use your laser
13 pointer and point to them.

14 CHMN STAFFORD: Yes.

15 MR. CASTEEL: This is -- this is community
16 village, a character area defined by the comp land. This
17 is rural edge along 180, and then the rest is range land.

18 CHMN STAFFORD: And then you said there's
19 an additional community village to the west?

20 MR. CASTEEL: It's not a community village.
21 It's a -- the Vernon area community. They -- it's called
22 the Vernon area community plan.

23 MR. DERSTINE: And where is that on the
24 map?

25 MR. CASTEEL: It's -- it's going to be

1 fairly large, and it's going to cover the area of Vernon,
2 which is several miles to the west. But it does extend
3 into the very western edge of our CEC corridor.

4 CHMN STAFFORD: Okay. So is that -- is
5 that what the community village is that's notated around
6 Substation 1? Is that part of that Vernon --

7 MR. CASTEEL: No. No it's a separate --

8 CHMN STAFFORD: It's a separate one.
9 Okay. And so that was established by the
10 county in their comprehensive plan?

11 MR. CASTEEL: The character areas are
12 established by the county. These local community plans
13 are developed and adopted by Apache County.

14 And the Vernon area plan, it's my
15 understanding is adopted by the comprehensive plan.

16 CHMN STAFFORD: Okay. And what do they
17 plan to do in that community village area?

18 It seems like you're going to have to
19 modify that because a substation in a wind farm don't
20 seem like a good place to build a house.

21 MR. CASTEEL: With -- within the community
22 village that's associated with the Apache County
23 comprehensive plan it does provide for high-density
24 development, institutional and industrial development.
25 But, yes, the Vernon area community plan is suggesting

1 that it is maintaining its residential character and its
2 open space aesthetics or its environment.

3 So there is -- the Apache County community
4 plan does note that there are conflicts in some cases
5 between what is existing and what is planned even between
6 the character areas and other -- these smaller local
7 community plans.

8 CHMN STAFFORD: Okay. Is that -- but
9 that's still all on state trust land, though, isn't it?
10 It's like a little block of private land I think.

11 MR. CASTEEL: In that area, our study area
12 is entirely state trust land, yes.

13 CHMN STAFFORD: There's a block of private
14 land just to the west of that; correct?

15 MR. CASTEEL: That would be private, yeah.

16 CHMN STAFFORD: Okay. And then you talked
17 about the rural edge character area along the 180.

18 MR. CASTEEL: Yeah, rural edge is planned
19 for lower residential development, lower density
20 residential development, which suggests that they would
21 like to see that development along highways. So it would
22 be -- it has specific density requirements per acre --
23 per acre density, but it is proposed for development --
24 planned for development.

25 CHMN STAFFORD: Okay. But it's not along

1 the 180. But they're not going to build houses along the
2 Little Colorado River, though, obviously.

3 MR. CASTEEL: The character area is set --
4 that is the defined character area, but that would be up
5 to the county to issue those permits if --

6 CHMN STAFFORD: Well, it's on state trust
7 land. Wouldn't they have to --

8 MR. CASTEEL: Well, that -- that is a good
9 question. It would be difficult to develop a residential
10 development on state trust land, correct.

11 CHMN STAFFORD: Yeah. Okay. Thank you.

12 BY MR. DERSTINE:

13 Q. So I guess the first step in looking at planned
14 land use was to look at the county's comprehensive plan
15 and then these various character area and/or community
16 plans, and you've already acknowledged that there's
17 some --

18 MEMBER KRYDER: Matt.

19 MR. DERSTINE: I'm sorry?

20 MEMBER KRYDER: Get into your microphone
21 over there.

22 MR. DERSTINE: Yeah.

23 BY MR. DERSTINE:

24 Q. You've acknowledged there's some conflict
25 between the comprehensive plan and some of these other

1 community plans; correct?

2 A. (Mr. Casteel) Yeah. In some cases there would
3 be some conflict.

4 Q. Okay. I guess to the point of it's hard to
5 reconcile a residential plan with low density with
6 industrial uses. Those don't seem to go together, but so
7 you have those overlapping plans that at least that you
8 considered and understand them?

9 A. (Mr. Casteel) Yes. They considered the planned
10 land use, yes.

11 Q. Okay. So in addition to looking at the -- these
12 various plans, comprehensive plan, et cetera, you then
13 also sent out some letters to various landowners and
14 jurisdictions inquiring about future planned or planned
15 land uses; is that right?

16 A. (Mr. Casteel) Correct. As part of the
17 Exhibit H in the CEC application we sent out letters
18 requesting information on existing and planned land uses
19 to 24 different jurisdictions and stakeholders to include
20 local, county, and state and federal agencies.

21 Q. And what did you hear back?

22 A. (Mr. Casteel) We received one letter back from
23 Arizona Game and Fish Department.

24 Q. So that didn't really go to a planned land use,
25 but it was more to Arizona Game and Fish Department's, I

1 guess, various areas of concern regarding impact to fish
2 and wildlife?

3 A. (Mr. Casteel) Correct. The letter was
4 extremely helpful, and Ms. Casteel will reflect on that
5 in her testimony related to biological resources.

6 Q. But it didn't really identify any sort of
7 planned land use that, you know, Game and Fish was
8 considering? It was more in terms of biological
9 resources?

10 A. (Mr. Casteel) Correct. No, it did not -- did
11 not aid in the planned land use discussion.

12 Q. Okay. So based on all the things that you
13 reviewed, what were your conclusions regarding whether
14 the project is compatible with planned land uses within
15 the project area?

16 A. (Mr. Casteel) Our findings that the
17 interconnection project is consistent with existing and
18 planned land uses. It does not conflict with planned
19 land uses related to grazing or utilities or
20 transportation. It is consistent with the Apache County
21 land use zoning.

22 Again, it does not preclude any of these
23 existing or planned land uses that are currently or would
24 be initiated in the study area or the CEC corridor.

25 Q. And in general, the interconnection project is

1 compatible with the Apache County comprehensive plan?

2 A. (Mr. Casteel) Correct.

3 CHMN STAFFORD: And then -- but these --
4 the planned land uses by the county like the community
5 village, range land, and rural edge, those -- unless they
6 purchase or lease the land from the State Land
7 Department, nothing could happen along those lines in any
8 of these places, could they not?

9 MR. CASTEEL: There would I suppose be
10 scenarios where an individual would need to either --
11 yes, purchase the land or initiate a lease or easement
12 with State Land for a commercial facility or some other
13 type of facility. But, yes, there would have to be a
14 process with State Land first before some of the uses
15 would -- planned land uses could be completed.

16 CHMN STAFFORD: Okay. Thank you.

17 MEMBER MERCER: Mr. Chairman.

18 CHMN STAFFORD: Yes, Member Mercer.

19 MEMBER MERCER: Okay. On this planned land
20 use, help me understand on the character areas.

21 MR. PATTON: The rural edge and the
22 community village, since both are under state land trust,
23 how can the county plan land use for these areas? I
24 understand that they could get a -- purchase it or what
25 you just described. But how can they go ahead and make

1 plans when they don't have the land?

2 MR. CASTEEL: Well, it's a good point. I
3 would just say that the comprehensive plan does cover
4 unincorporated Apache County. So they have suggested a
5 planned land use within their county. How that would
6 come about, yeah, there would certainly be some more
7 processes that would have to happen to initiate certain
8 types of development on state trust land.

9 MEMBER MERCER: Thank you.

10 It sounds to me like -- you know, like
11 we're still waiting for the big earthquake in California
12 so we can have oceanfront property in Arizona. This is
13 what it sounds like to me.

14 MEMBER COMSTOCK: Mr. Chairman.

15 CHMN STAFFORD: Yes, Member Comstock.

16 MEMBER COMSTOCK: I'm curious, what was the
17 date that was -- that you looked at for the Apache County
18 comprehensive plan? When was the last time that was
19 updated?

20 MR. CASTEEL: 2019 is what is available.

21 MEMBER COMSTOCK: So it's six -- six years
22 old? Do you know when they're going to update it next?

23 MR. CASTEEL: I'm not sure, but I would
24 anticipate that they would do so. But I'm not aware of
25 any date that it would be -- a new version would be

1 available.

2 MEMBER COMSTOCK: But that's not -- you
3 don't know -- you don't think that'll happen within your
4 construct time, the applicants' construct time.

5 MR. CASTEEL: I can't say, no.

6 MEMBER COMSTOCK: Thank you.

7 BY MR. DERSTINE:

8 Q. Anything else you wanted to add on the planned
9 land use and your analysis whether or not the project is
10 compatible with planned land uses within our project
11 area?

12 A. (Mr. Casteel) No, I do not.

13 Q. So Mr. Casteel covered land use.

14 Ms. Casteel, you're going to cover the
15 biological resources that were analyzed and included in
16 our application under Exhibits C and D.

17 Do I have that right?

18 A. (Ms. Casteel) Yes.

19 Q. Okay.

20 A. (Ms. Casteel) So the biological resources, like
21 you mentioned, were covered in Exhibits C and D for the
22 application.

23 Exhibit C being the areas of biological wealth
24 and special status species. And Exhibit D being the
25 general wildlife and vegetation. So I'll go through each

1 of those categories in the following slides.

2 In order to do the assessments for both the
3 special status and general wildlife, we start with a
4 review of data during a desktop review. And that
5 includes sources from Fish and Wildlife and Game and
6 Fish.

7 And then if there are any prior studies that are
8 done in the area, we review those as well to provide some
9 background information on species that may be present and
10 what the general ecological setting is for the area.

11 And then after the desktop review, we will -- we
12 conducted a field survey. We went out specifically for
13 this project for the study area and reviewed that in
14 November 2024 and begin in May 2025.

15 Q. And what do you do on that field survey?

16 A. (Ms. Casteel) We view the local vegetation and
17 get better a understanding of the ecological setting and
18 whether there is habitat that is appropriate for special
19 status species.

20 MEMBER KRYDER: Mr. Chairman.

21 CHMN STAFFORD: Yes, Member Kryder.

22 MEMBER KRYDER: A question, Ms. Casteel. I
23 was looking in the application on page C-2, and it talks
24 about the avian use surveys. It reads -- one sentence
25 let me read to you, "Two years of avian use surveys

1 conducted monthly at fixed points distributed throughout
2 the wind facility from January 2021 through
3 December 2022."

4 And I was wondering what is an avian use
5 survey that would be done monthly?

6 MS. CASTEEL: I would have to get details,
7 I guess, from my biologist on what exactly that entails.
8 But so I'll have to follow up exactly on what that is.
9 But that was specific to the wind facility, not for the
10 interconnection project.

11 MEMBER KRYDER: Was it -- do you know if it
12 was -- you set a monitor or a game monitor of some sort
13 out or was it human sightings or do you know any of that?

14 MS. CASTEEL: Let me -- let me confer --

15 MEMBER KRYDER: Talk with the --

16 MS. CASTEEL: -- and I'll get back to you.

17 MEMBER KRYDER: Sure. Okay. That will be
18 good.

19 While I have you there, may I ask another
20 question, Mr. Chairman?

21 CHMN STAFFORD: Certainly.

22 MEMBER KRYDER: Going down page C-2, it
23 talked about native plant inventories for the
24 interconnection project in November 2024.

25 Again, how many surveyors went out? Or, I

1 mean, that's a big area. You have 30 miles. And did
2 you -- did you walk all 30 miles or how did you do this?

3 MS. CASTEEL: I can speak a little bit
4 about that.

5 So we follow Arizona state trust land
6 department protocol for the native plant inventory, and
7 that allows for sample plots and then extrapolation to
8 the full area, so we go out there and we sample specific
9 plots and do our vegetation counts and then extrapolate
10 for the full area.

11 MEMBER KRYDER: So it said that this was
12 done during one month. Back of the envelope how many
13 native plants species are out there? Are we talking
14 about 10 or 100,000?

15 MS. CASTEEL: I can't speak to a specific
16 number right now. I can let you know the native plant
17 inventory is still in development. So because of some --
18 it covers the wind as well, and there's some project area
19 changes. And so the report itself is not finalized, but
20 there's some information I can get from it and I can get
21 back to you.

22 MEMBER KRYDER: Okay. There are 244 native
23 plant species noted in Apache County.

24 I didn't know if all 244 of those would
25 show up in your survey? If so, that sounds to me, like,

1 more than a month to find out. And I was wondering, so,
2 yeah, I'd be looking forward to some understanding about
3 native plants. We farmers look at the plants before the
4 cows eat them.

5 MS. CASTEEL: Yeah, I can find you some
6 information and get back to you on that.

7 MEMBER KRYDER: Thank you.

8 CHMN STAFFORD: And then for -- you
9 wouldn't be able to construct anything on state trust
10 land until those surveys are complete, would you not?

11 MS. CASTEEL: That's correct.

12 CHMN STAFFORD: Okay. A quick question
13 looking at Slide 89, it says you consulted the United
14 States Forest and Wildlife Service information for
15 planning and consultation system.

16 Are you able to access that?

17 MS. CASTEEL: For -- sorry. The -- so for
18 the -- you mean the fish and wildlife system?

19 CHMN STAFFORD: Yeah. Fish and wildlife.

20 MS. CASTEEL: Yes.

21 CHMN STAFFORD: I think I said forest and
22 wildlife.

23 MS. CASTEEL: Yeah. Yes, so we were able
24 to access that at the time of the study, and so I know
25 right now it's restricted for wind projects, but it was

1 something we were able to access previously. And so we
2 did get a -- the IPaC results, and that -- I believe I
3 show that in a couple slides. So we'll see that.

4 But that resulted in the identification of
5 nine species that Fish and Wildlife recommended
6 additional evaluation. And based on our evaluations, six
7 of those species may be present or may occur. And I'll
8 go through each of those species.

9 CHMN STAFFORD: Okay. And then the Arizona
10 Game and Fish, their online tool, did it reveal the same
11 species as the IPaC, the information for planning and
12 consultation system?

13 MS. CASTEEL: The Arizona Game and Fish
14 database provides different species. Those are the state
15 listed species, including species of greatest
16 conservation need, SGCNs, and that I will also detail.

17 CHMN STAFFORD: Thank you.

18 MEMBER HILL: Mr. Chair.

19 CHMN STAFFORD: Member Hill.

20 MEMBER HILL: Ms. Casteel, I came back as
21 quickly as I could.

22 And I'm just --

23 MEMBER KRYDER: A little closer to your
24 microphone, please, Nicole.

25 MEMBER HILL: So are you -- have you walked

1 us through the Arizona Game and Fish pieces that are
2 applicable to this project yet?

3 MS. CASTEEL: Not yet, no.

4 MEMBER HILL: Okay. Perfect. I came back
5 in perfect time.

6 MS. CASTEEL: Yeah. I will go through the
7 various areas of biological wealth, the various
8 Endangered Species Act species as well the Arizona state
9 listed species of greatest conservation need.

10 And we'll talk about what's out there, what
11 the impacts might be and then what minimization measures
12 would be implemented including ones that were recommended
13 by Game and Fish.

14 MEMBER HILL: Super. Thank you.

15 CHMN STAFFORD: Thank you. Mr. Derstine,
16 about how much more testimony can you get through in the
17 next nine minutes?

18 I intend to take a recess from 5 to 5:30 to
19 prepare for the public comment that will start at 5:30.

20 Or is this a good spot to stop and then
21 come back to after the tour?

22 MR. DERSTINE: Well, Ms. Casteel, you tell
23 us. Are you able to -- do you want to take us through
24 Exhibit C in the next nine minutes or is there too much
25 to cover within that time?

1 MS. CASTEEL: Definitely too much to do the
2 full C. But I can speak a little bit about the areas of
3 biological wealth. I think I can get through the
4 discussion of at least the Little Colorado River, so
5 that'll give some context for tomorrow.

6 BY MR. DERSTINE:

7 Q. So you covered the field studies that were
8 performed in support of your analysis for Exhibits C and
9 D. And I think you were going to turn to the -- I guess
10 the stakeholder outreach you did with U.S. Fish and
11 Wildlife and Arizona Game and Fish.

12 Have you covered that yet?

13 A. (Ms. Casteel) A little bit. So we did include
14 Fish and Wildlife and Game and Fish during our
15 stakeholder outreach. Game and Fish has coordinated with
16 us since 2022, so there's been a few years of
17 coordination back and forth both with the interconnection
18 project as well as the wind and solar facilities.

19 The Game and Fish has recommended a series of
20 things including following construction best practices
21 for wildlife construction, preconstruction surveys,
22 following the avian power line interaction committee or
23 APLIC guidelines, and then also preparing conservation
24 and preconstruction plans.

25 Those were the recommendations that applied to

1 the interconnection project, and I'll be speaking more to
2 those as they apply to specific areas of biological
3 wealth and/or species as the presentation goes on.

4 Q. So do you want to at least start us off or get
5 as far as you can concerning your findings regarding
6 areas of --

7 MEMBER KRYDER: I can't hear you, Matt.

8 BY MR. DERSTINE:

9 Q. Oh, do you want to start us off with your
10 findings on areas of biological wealth as detailed in
11 Exhibit C?

12 A. (Ms. Casteel) Yes. So areas of biological
13 wealth are any habitat, feature, or location that might
14 serve to provide important, unique, or concentrated
15 resources for wildlife or plants.

16 Within the study area, we identified five areas
17 of biological wealth. That includes the Little Colorado
18 River corridor, the Coyote-Mamie terrestrial -- it's a
19 conservation opportunity area, COA -- two diffuse
20 movement areas, and one landscape movement area.

21 The Little Colorado River includes three
22 different designated areas. The areas overlap the river
23 corridor, and they're all mapped here in different shades
24 of blue and turquoise. And they include a riparian
25 wildlife movement area and two conservation opportunity

1 areas. They all generally provide goals for enabling or
2 improving movement of terrestrial and aquatic species.
3 So it's similar goals for the three different areas.

4 CHMN STAFFORD: And all five of these are
5 displayed on the map on Slide 96 of Exhibit 7; correct?

6 MS. CASTEEL: That is correct.

7 CHMN STAFFORD: Okay.

8 MS. CASTEEL: So the three that follow the
9 Little Colorado River overlap each other. And then it
10 looks like tomorrow I'll be talking about the
11 Coyote-Mamie conservation opportunity area as well as the
12 diffuse movement areas and the landscape movement area.

13 So I think I'm going to leave it there, but
14 open to questions so far.

15 CHMN STAFFORD: Do members have any
16 questions for the next four minutes?

17 MEMBER KRYDER: Is this where you --
18 Mr. Chairman.

19 CHMN STAFFORD: Yes, Member Kryder.

20 MEMBER KRYDER: Is this where you were
21 going to talk about that little jig jag up there in the
22 right-hand corner?

23 CHMN STAFFORD: Oh for the -- no, that's
24 going to up in the cultural resources section.

25 MEMBER KRYDER: Okay. I'm sitting on the

1 edge of my chair waiting.

2 CHMN STAFFORD: Member Fant.

3 MEMBER FANT: Mr. Chair, if I may.

4 Is this a flyway or byway?

5 MS. CASTEEL: The Little Colorado River is
6 important for migratory birds and various special status
7 species birds. And that will be covered in additional
8 slides tomorrow. And there will be measures taken to try
9 to minimize the impact on birds using that as a migration
10 corridor.

11 CHMN STAFFORD: I believe there are
12 multiple spots in the application that mention the word
13 "bird diverters."

14 All right, well, it's almost five o'clock.
15 Let's take a recess and come back at 5:30 to start taking
16 public comment.

17 I can get with the AV team and make sure
18 they have the signup sheets ready and the -- we're all
19 set to go for public comment.

20 So with that we stand in recess till 5:30.

21 MR. DERSTINE: Thank you.

22 (Recess from 4:57 p.m. to 5:31 p.m.)

23 CHMN STAFFORD: All right. Let's go back
24 on the record. Now is the time set for public comment on
25 the line siting case 250.

1 This is public comment. This is not the
2 opportunity for public commenters to ask questions of the
3 committee or the applicant. It's just for you to voice
4 your concerns and have them be on the record before the
5 court reporter.

6 I'll remind everyone the ex parte rule is
7 in effect. The members can't discuss the merits of the
8 case with the parties or the public. However, the
9 applicant is free to answer any questions posed to it
10 from the public.

11 With that, let's begin with Monica
12 Boehning. And I'm not sure I'm pronouncing your last
13 name correctly, but it's spelled B-o-e-h-n-i-n-g.

14 MS. BOEHRING: Yes, sir, that is correct.

15 CHMN STAFFORD: Thank you. So please come
16 to the podium, and then once you -- everyone will have
17 three minutes to make their comments. Once you start
18 speaking they will start the timer, and then I will let
19 you know when your time is up.

20 MS. BOEHRING: Good evening, Mr. Chair and
21 Committee. I'm Monica Boehning, a 43-year resident of
22 Springerville-Eagar. I submitted one of the limited
23 appearances for this hearing.

24 I speak with graduate education and
25 38 years' professional experience in natural resources

1 management, mostly here in these local forest, woodland
2 and grassland ecosystems. I know Arizona law grants you
3 no authority over wind farms, only over this transmission
4 line.

5 But intent of the CEC statute is to protect
6 the full environment of a project area. Because this
7 interconnection line is proposed through the middle of
8 the wind farm, these two projects cannot be ecologically
9 viewed separately as each one is tied to the other within
10 the same environment.

11 In each of my six written submissions to
12 your docket, I've addressed the gen-tie application with
13 scientific facts, followed by points made from those
14 facts pertinent to the CEC factors for this gen-tie line.

15 I see some of you have been able to read
16 them, plus hopefully all supporting info. I made
17 geology, volcanology the focus of my limited appearance.

18 Key attachments to it are four letters with
19 two color maps by the scientists who have studied the
20 Springerville volcanic field for decades.

21 It's critical for you to read their
22 letters, as they express serious concerns against damage
23 and permanent destruction to those lava flows. Drilling
24 multiple test holes only causes more irreparable damage.

25 Very important research needs to continue

1 there. The applicant failed to address the geology of
2 this area's quite unstable bedrock, which these letters
3 explain in detail.

4 This volcanic field is uniquely different
5 from others that have similar projects built on them. In
6 my water paper, I stress the applicant neglected to
7 disclose how much additional groundwater depletion will
8 occur to build their gen-tie line.

9 In my soils paper I stressed their
10 application is totally lacking any soils survey info, so
11 I point out how very shallow and fragile the soils are in
12 the volcanic field, only six to 30 inches deep, but took
13 thousands of years to form and are very easily eroded by
14 wind and water.

15 In my vegetation paper I explain why
16 maintaining plant cover is crucial for keeping the soil
17 in place and that their plant survey done only in
18 November of '24 was very flawed.

19 For example, on October 18 of that year,
20 last year we had our first hard frost. Then we got 3.5
21 inches of snow overnight on November 3 and another four
22 inches of snow on November 6, and they did field surveys
23 on November 13th and 14th. Most of those plants had
24 disappeared by then.

25 In my eagle take permits paper, I show why

1 it's premature for the company to assume there's no
2 federal NEPA nexus. They showed nothing written by Fish
3 and Wildlife Service to that effect.

4 In my applicants experience paper, I show
5 why this gen-tie project cannot likely meet the stated
6 objective.

7 I also highlight this company's efforts to
8 look like they'll meet the letter of the law without
9 effort actually meet the content -- comply with the
10 intent of the law.

11 CHMN STAFFORD: That's your time,
12 Ms. Boehning. Thank you.

13 MS. BOEHNING: Thank you.

14 CHMN STAFFORD: Up next we have Mark
15 Seipke, Mark with a K, S-e-i-p-k-e.

16 Please let me know if I'm pronouncing that
17 correctly or not.

18 MR. SEIPKE: Oh, you've done better than
19 most people in my life.

20 CHMN STAFFORD: Thank you.

21 MR. SEIPKE: Commission, we thank you for
22 taking your time to listen to us. You know, at first I
23 got to apologize to you. I got to apologize to you
24 because you don't, I think most of you, maybe all of you
25 do not have the opportunity to live in Apache County.

1 It's a great county.

2 And I got to apologize to you for the
3 applicant. They're going to take you on a route tomorrow
4 to see it where they should have took you just the
5 opposite way for you to get the best view. That's okay.

6 I am a little bit nervous. I'm not usually
7 speaking. I've been doing it in one form or another for
8 40 years. But I've never represented approximately 1800
9 people. This is the signatures of 1800 -- approximately
10 1800 people from our community who do not want this
11 gen-tie done.

12 And why don't they want it done? We just
13 live in the dark ages up here. We don't understand the
14 need for data centers. Or we just don't care. And it's
15 none of it. It has nothing to do with any of that.

16 And I understand that you have to make
17 decisions based upon facts, surveys, statements, truth
18 that is presented to you concerning this project.

19 But these people when they look at it, they
20 don't see this simulation. They don't see what it might
21 look like. They don't see the factors that are being
22 presented. They see their ground. They see one of the
23 most beautiful parts of this county being destroyed
24 visually. And for what?

25 There's lots of places this could go. Not

1 in the corridor of what our county gets most of its
2 funding from, tourism. Please vote against this. I'm
3 going to leave my county here.

4 CHMN STAFFORD: Thank you, Mr. Seipke. Up
5 next we have Mark Ostermann. Another Mark with a K,
6 O-s-t-e-r-m-a-n-n. And, again, if I mispronounce
7 anyone's name, please correct me.

8 MR. OSTERMANN: My name is Mark Ostermann,
9 I'm a property owner and a resident of Apache County.
10 First, I'd like to say that if this power line is
11 approved it will be the heart and lifeline of one of the
12 most controversial issues that ever hit Apache County.

13 Apache County is a pretty rural area, and a
14 lot of people don't like to go to government meetings and
15 a lot of them can't even afford to drive to them. So
16 myself along with about half a dozen other people have
17 talked with thousands of residents up here in the last
18 year and a half.

19 We did so so we could relay their opinions
20 to the agencies that are responsible for permitting this
21 project.

22 The thing is, these people that we have
23 found the overwhelming majority of them, they do not want
24 these renewable energy farms in this area for many good
25 reasons.

1 To be fair, though, there has been a few
2 people that do want them and they're mostly in two small
3 groups, the so-called Greenies for lack of a better term,
4 who hope this will lead to the shutdown of the power
5 plants, which we know that won't happen.

6 And then there's a few large landowners and
7 several businesses that want them so they can make money
8 off of them. Now tourism, including hunting, is for a
9 lot of residents how they make their living up here. And
10 in case you didn't know, Apache County has the lowest
11 median household income in the state, and they are one of
12 the lowest in the country.

13 If these things go in, their income will
14 drop, the property values will drop, and that's going to
15 hurt the public out here. And I know Repsol has surveys
16 that show this won't happen, but the thing about surveys
17 is if I had their money, I could do the same surveys and
18 the surveys would be just the opposite. So the surveys
19 are kind of a null point.

20 The people that are here, they live here
21 because they love this area, and they're not the only
22 ones. This is a destination point for many Arizonans to
23 come and enjoy the beauty of this area. But before I run
24 out of time there's one thing I'd like to do, and I'd
25 like to paint a picture of a different perspective of

1 what is going on right now.

2 There's a large multiple billion dollar
3 global corporation standing out there and it's got a gun
4 pointed at Apache County. Why? They want to make their
5 money here and they don't care what the public thinks.
6 But the thing is that corporation doesn't have any
7 bullets for that gun yet.

8 But one of those bullets is in this room
9 right now in this committee's hands. So the question is
10 what are you going to do with that bullet? They need
11 that bullet. Are you going to keep it and let this
12 county, the environment and the public stay like it is?

13 Or are you going to give it to them and let
14 them make their money and damage this area for decades to
15 come even though Chairman Thompson wrote in his September
16 '25 letter that the power grid needs reliable and
17 dependable energy for the future, which renewables
18 aren't.

19 And also the power plants are not obligated
20 to take these. They meet all their standards right now
21 so they don't have to do it.

22 CHMN STAFFORD: That's your time,
23 Mr. Ostermann.

24 MR. OSTERMANN: Thank you.

25 CHMN STAFFORD: Thank you. Up next we have

1 Kristin Spillman, S-p-i-l-l-m-a-n. K-r-i-s-t-i-n.

2 MS. SPILLMAN: That's correct.

3 Thank you, Committee, for being here this
4 evening and this week and taking the time to address our
5 issues that we have up here with the line siting
6 committee.

7 My name is Kristin Spillman, I'm a
8 resident, registered voter and business owner in
9 Springerville, Arizona. I have lived in the White
10 Mountains for 19 years.

11 I brought with me today, on the back of
12 Mark Seipke's petitions, a stack of over 900 letters
13 signed by residents, homeowners, landowners, part-time
14 residents and visitors of local communities in the White
15 Mountains. These have been collected over the past
16 18 months.

17 Some are handwritten, some are form
18 letters, and some are from a secure website collection
19 page. Most had been sent to the Apache -- excuse me, to
20 the Arizona Corporation Commission in late 2024, but we
21 received no response or feedback, so I bring them to you
22 today.

23 So I'm standing here with over 900 men,
24 women and children who care deeply about their local
25 communities that would greatly be affected by the Lava

1 Run wind and solar projects and the connective
2 transmission lines. I made a promise to every one of
3 these writers that I would deliver them to the right
4 people at the right time, and I hope that's you.

5 Most folks could not commute the 100-plus
6 miles to be here today. The letters express opposition
7 to Lava Run and the connective gen-tie line in Apache
8 County for many reasons, such as environmental
9 devastation, wildlife sensitivity, including endangered
10 species and migratory paths.

11 Economic repercussions to our tourist
12 industry, visual impacts for hundreds of square miles as
13 well as cultural and historical site destruction.

14 The transmission line stretching across the
15 beautiful corridor coming into Springerville in no way
16 fits with the breathtaking landscapes. Local residents
17 including myself formed a grassroots organization and
18 started collecting these letters with a small outreach
19 group.

20 When Repsol, Apache Wind, Lava Run, first
21 calling themselves ConnectGen, plans were publicly yet
22 quietly coming to light in southern Apache County, we
23 knew education on wind and solar projects in their names
24 were courting the communities surrounding these projects.

25 Repsol's a global oil company, and we don't

1 really need to have them in their backyard. We do not
2 need a 29-mile connective line going from a wind farm
3 that is unnecessary with our coal plants and upcoming
4 natural conversion, and we do not need to wreck our
5 countrysides.

6 I respectfully ask that you deny the CEC
7 application submitted by the GC Apache County Wind to
8 preserved our open spaces, and I hope you enjoy the tour
9 of the countryside tomorrow. Thank you very much for
10 being here.

11 CHMN STAFFORD: Thank you. If you have
12 documents that you're bringing in, you need to file those
13 with the Commission. You can't introduce those as
14 exhibits at the hearing because you're not parties.

15 So if you want to -- you're -- feel free to
16 file those with the Commission. You could scan them in
17 or you can mail them in.

18 MS. SPILLMAN: Absolutely.

19 CHMN STAFFORD: Whatever your preference
20 would be. Thank you.

21 MR. SPILLMAN: And may I ask, should I also
22 take Mr. Seipke's with me?

23 CHMN STAFFORD: I can't -- they have to
24 be -- you can't introduce exhibits at the hearing, but
25 I'm saying you, Mr. Seipke, are free to file them with

1 the Commission.

2 MS. SPILLMAN: Thank you, sir.

3 CHMN STAFFORD: All right. Up next we have
4 Louisa Quintana. Q-u-i-n-t-a-n-a.

5 MS. QUINTANA: Good evening, Chairman,
6 Arizona Corporation Commission, and Siting Committee.

7 I'm Louisa Quintana, a resident and teacher
8 of Round Valley in Apache County. I would like to
9 address the 29-mile transmission project with land
10 ownership in many entities involved.

11 Affected by this project will be private
12 landowners, ranchers, and residents of Apache County.
13 Other entities are in and out to attend to their jobs on
14 the field.

15 Some do not live here. The corporate
16 companies such as Lava Run who want to bring this
17 infrastructure to our area, they come in, they leave,
18 they do their job and they go to their peaceful domains
19 where they are not affected by large transmission lines,
20 wind turbines or solar projects. This is not a
21 state-of-the-art project. Can we please look at this?
22 The guidelines for this project are requiring only a
23 one-mile radius.

24 The land use and impacts range many miles
25 outside of the study. This is not acceptable. By the

1 communities and the surrounding areas, it is not
2 acceptable, as they will be impacted by this project.

3 Archaeological, historical, environmental
4 and sacred native lands are of history and out of your
5 one-mile study. Please do the right thing. This project
6 is an exploitation of native tribal lands by corporate
7 greed. Please do your part in protecting and studying
8 this project, as your decisions can change the lives of
9 many.

10 The Department of Interior must be brought
11 to the table and involved with your scope of work, as
12 there are many complex restrictions, obligations,
13 statutes and regulations. The government maintains
14 judiciary responsibilities to protect Native America
15 assets and resources.

16 Tribes are sovereign. Tribes can only be
17 diminished by Congress, not corporations who choose to
18 platform, to come in and perform in and only have partial
19 areas studied.

20 These are sacred lands, waters, and so on.
21 The views of these tribes in our areas must be considered
22 to the siting committee and Arizona Corporate Commission.
23 We are named Apache County. The tribes from this area
24 have a deep connection to their ancestral lands, which
25 are rich in wildlife and natural resources.

1 The rights of Mother Earth, desecration of
2 sacred sites. Destruction on lands and waters. The
3 protection and nurturing tribal sovereignty is very
4 important. The waters of the Little Colorado must be
5 protected.

6 Please consider the people, the children,
7 the future of many. The environment is what we leave.

8 CHMN STAFFORD: Thank you, Ms. Quintana.

9 MS. QUINTANA: Thank you.

10 CHMN STAFFORD: Your time is up. Up next
11 we have Barbara Norton. N-o-r-t-o-n. Please correct me
12 if I'm mispronouncing or misspelling your name.

13 MS. NORTON: Good evening, Chairman and
14 Committee. I am Barbara Norton, a 25-year resident of
15 Springerville, located in the heart of the beautiful
16 White Mountains that which many are blessed to call home.

17 Environmental quality is heartfelt concern
18 for residents in Apache County, especially District 3.
19 Approval of these vast transmission lines spanning
20 29 miles of our open vistas requires a complete review of
21 the compatibility with the environment in this area
22 including the fragile Springerville volcanic bed where
23 the foundations will be constructed.

24 The volcanic field has been studied by
25 volcanologists from around the world. It will be

1 irreparably damaged by this project.

2 Full compliance with existing laws
3 including the National Environmental Policy Act, the
4 Endangered Species Act, the National Preservation Act and
5 the Wilderness Act is an absolute must. It must comply
6 or it would be unlawful and violate the protections these
7 acts provide.

8 This area is rich with resources, wildlife
9 and bird species, many of which use the proposed area for
10 their migrations. This gen-tie project must be evaluated
11 for the disputable impacts -- indisputable impacts to our
12 delicate soil, limited water resources, air, plant, and
13 wildlife. Including endangered and protected species,
14 even the awe-inspiring bald eagle.

15 This transmission line along with the wind
16 and solar projects will result in habitat fragmentation.
17 An in-depth environmental assessment by an impartial and
18 completely neutral party must be required.

19 Once the environment is disturbed it is
20 virtually impossible to restore it to its naturally
21 occurring integrity. The effects will be prolonged,
22 lasting for decades and beyond.

23 The migration -- excuse me -- the
24 mitigation measures proposed for this project are grossly
25 inadequate. Committee Members, I respectfully point out

1 the true reason for this project. It is about the
2 financial greed. No true heartfelt concern for our
3 environment, our culture, our local economy or the people
4 that call this mountain home.

5 Repsol and the associated companies will
6 build, sell, and leave without concern for what they
7 leave in their wake. Please represent us, the public.

8 Please use the utmost care as you review
9 all aspects of this project. It will forever change our
10 unparalleled landscape, having a detrimental impact on
11 the environment in the White Mountains. Respectfully, I
12 ask that you completely stop this project and deny their
13 CEC for the Lava Run 29-mile transmission line.

14 CHMN STAFFORD: Thank you. Your time is
15 up. Up next we have Roxanne Knight, K-n-i-g-h-t.

16 MS. KNIGHT: Good afternoon, Mr. Chairman
17 and members of the Commission and all of you who are
18 here.

19 Am I speaking loudly enough? Can you hear?

20 CHMN STAFFORD: Yes.

21 MS. KNIGHT: I'm getting old and my voice
22 is going, so I'll try.

23 I'm Roxanne Knight. I'm the matriarch, I
24 guess, of a four-generation ranching family here in
25 Apache County in the exact area that you're talking about

1 these transmission lines and windmills for.

2 I represent our family and I think the
3 opinions -- well, I know the opinions of many, many other
4 ranchers in the area. If you want to know what the
5 environment is, the environmental studies might include
6 talking to some of the ranchers who are on the land. And
7 I do want to go on record as saying I and most of the
8 ranchers I know are vehemently opposed to this entire
9 project, and we would ask your consideration of the many
10 reasons you're hearing for that.

11 Ranchers don't just care for the land -- I
12 mean, care for the cattle for a profit. We care for the
13 land, too and, in fact, we are assigned to be steward of
14 the land. We feel, by god, but also by the State Land
15 Department.

16 We are to care for the land and we do. We
17 monitor it constantly. We check the -- the variety of
18 plant growth on it, the condition of plant growth, the
19 rainfall, many, many things.

20 We provide water. The -- we take that very
21 seriously, and we're constantly monitoring the condition
22 of the land. We do various conservation projects, water
23 developments, and protect it every way we can against
24 vandalism and any kind of deterioration, and we believe
25 that this transmission line and the wind farms will

1 deteriorate the land.

2 I don't care what kind of mitigation they
3 talk about. Our land here is very special, very fragile,
4 most of it is shallow volcanic soil, as you heard, there
5 are fractures under many of the volcanic cones. And our
6 land, I know from being on it for almost my entire life
7 and my family for four generations on it, I know that
8 that soil is very delicate.

9 If some errant hunter or somebody just goes
10 out in a pickup and drives across where there's not
11 already an established road, I can about guarantee that
12 nine times out of ten we will see that road as a gully
13 within just a few years. The soil is very fragile.

14 CHMN STAFFORD: Thank you, Ms. Knight.

15 MS. KNIGHT: Okay.

16 CHMN STAFFORD: Up next we have Heather
17 Lee. I don't think I need to spell that. L-e-e.

18 MS. LEE: It was easy. All right. Good
19 evening. My name is Heather Lee. I'm speaking on behalf
20 of the Apache Natural Resource Conservation District
21 Board of Supervisors. The Apache NRCD is a local
22 subdivision of the State of Arizona, recognized for its
23 expertise in conservation, responsible use of land, soil,
24 water, and resources.

25 For over 80 years our district has worked

1 with landowners and agencies to ensure that projects in
2 the region are developed in a way that maintains the
3 health and productivity of our natural resources.

4 Our board would like to formally request
5 that the Apache NRCD be included in the ongoing
6 coordination and consultation throughout the Repsol
7 project, and specifically in the line siting permit
8 review process.

9 Including the local NRCD helps ensure that
10 natural resource consideration such as soil health,
11 erosion control, watershed protection, range land
12 management are all part of the early decision-making and
13 planning and not an afterthought.

14 We would also like to recommend that the
15 transmission line be placed with the existing TEP
16 Navopache power line easement, at least where it crosses
17 the Little Colorado River.

18 Utilizing an existing corridor minimizes
19 the new disturbance, reduces the fragmentation of range
20 land and wildlife habitat, and it protects the watershed
21 while maintaining the integrity of the landscape.

22 Our goal is to provide local technical
23 insight in coordinating with the county, state and
24 project partners to help ensure that all the development
25 is compatible with long-term natural resource management.

1 The Apache NRCDC Arizona operates under
2 Arizona state statute to advise and assist in
3 conservation planning and we are ready to serve that role
4 here.

5 We appreciate the opportunity to provide
6 input and look forward to continued collaboration to
7 ensure that local conservation priorities are recognized
8 and respected throughout the process. Thank you.

9 CHMN STAFFORD: Thank you.

10 Up next we have Denise Harris.

11 H-a-r-r-i-s. Denise is D-e-n-i-s-e.

12 MS. HARRIS: Thank you for coming. And
13 please listen. I'm up here with a paper that I haven't
14 written anything down on, they just asked me to give my
15 comments.

16 I'm a lifetime resident of Apache County.
17 My mother's maiden name was Eagar. My maiden name was
18 Willbank, they are both founding families from Apache
19 County who were pioneers in the area.

20 As you know, the last few years we've been
21 having a very severe drought, and I feel that this
22 project they're putting through here will make matters
23 much worse for us. Our ranchers are having a hard time
24 even finding water for their cattle. And we depend on
25 these ranchers. We depend on the recreation that we have

1 here.

2 We used to -- my father owned a ranch
3 between Springerville and St. Johns, and we would drive
4 the cattle up there every summer. We would have a cattle
5 drive. Right through this area that you're proposing to
6 put these windmills and these lines. What a beautiful
7 site that was to go on that ride and drive those cattle
8 up there in that beautiful mountain.

9 My heart is in Apache County. I love it.
10 My father was in the Navy and he traveled around the
11 world. And when he got out of the Navy he settled back
12 in Apache County. And someone asked him, why do you
13 choose to live here? And he said this is the most
14 beautiful place on earth. And it is.

15 And I plead with you, please do your
16 studies, do your work, listen to us citizens. We don't
17 want a butte erased. We love our county. Thank you.

18 CHMN STAFFORD: Thank you.

19 Up next we have Howard Harris.

20 MR. HARRIS: I'm Howard Harris, resident of
21 Apache County. Eagar, Arizona. I've been there
22 40 years. I'm married into the family that settled that
23 town it's named after. All the cowboys and the cattle
24 men and everything around there that made a living off of
25 this land, and we don't want this eyesore to go across

1 our land.

2 It will affect our future because we have
3 many, many people come up there and spend the summers.
4 And they enjoy it. They don't want to come up and look
5 at a bunch of windmills and power lines especially around
6 the Little Colorado Valley. It's real precious to all of
7 us that live there. Working for different companies and
8 everybody always told me the same thing, they moved
9 there, they love it and they're not going to be anywhere
10 else except for the cemetery. Thank you.

11 CHMN STAFFORD: Thank you.

12 Up next we have Christine Saffell.

13 S-a-f-f-e-l-l.

14 MS. SAFFELL: Good evening to each of you.
15 I'm Chris Saffell from Eagar, Arizona, for over 43 years.
16 And I'm here to give voice to those who are unable to
17 speak for themselves against the proposed Lava Run
18 interconnection project, and the CEC application on
19 behalf of the birds and bats of this area.

20 As a resident landowner, I value the
21 natural world that surrounds us as it is appreciated,
22 respected, protected and preserved for us and future
23 generations. Flying birds and bats don't stop at
24 imaginary lines drawn in the sky. In flying through the
25 wind farm they can easily also fly through the corridor

1 of the gen-tie line.

2 Studies suggest that power line birds and
3 bat deaths range in the millions each year and that wind
4 turbines kill four to 11 birds and 12 to 19 bats per
5 megawatt capacity per year in the United States, so Lava
6 Run's 500-megawatt wind farm can be expected to kill
7 approximately 4,000 birds and 7,700 bats.

8 This is a rough estimate and actual
9 mortality rates for birds and bats vary depending upon
10 the location, species' migratory routes, breeding areas,
11 habitat and design of the transmission lines and wind
12 farms.

13 Please note that predators quite often
14 consume carcasses of the dead birds and bats from power
15 line and wind farm deaths before humans can find any
16 remains to be counted.

17 Bird species with poor frontal vision or
18 low maneuverability are at risk of collisions with power
19 lines and towers that can be difficult to see even at
20 180 feet tall, as proposed in this project. Soaring
21 predators are also visually searching the ground below
22 for prey.

23 Fog and/or darkness also complicate the
24 fields of vision for flyers. Studies confirm higher
25 collision rates in the areas with overhead lines that

1 intersect historic migratory routes.

2 Electrical line mortality impact rates on
3 bats have not been studied as much. Risks of
4 electrocution increase when female bats are carrying
5 their young as the altered balance can cause both to
6 touch two wires while landing or taking off.

7 Bats can also be harmed by an electrical
8 arc just when flying too close to a wire. Because native
9 vegetation and nesting areas are disturbed in the
10 construction of said transmission lines, this plays
11 heavily on the displacement and deaths of many birds and
12 bats.

13 Overhead power lines cover about 67 million
14 miles of earth as reported in 2025. An estimated 12 to
15 64 million birds are killed by power lines in the United
16 States each year. The big picture is that all the
17 cumulative impacts are what matter most. Wind facilities
18 are an additive danger that must be considered. Each
19 bird and bat lost is a blow to some already collapsing
20 low population. I respectfully address on behalf of
21 those living and those who won't make it. Thank you.

22 CHMN STAFFORD: Thank you. Up next we have
23 Michael Pfeiffer, P-f-e-i-f-f-e-r.

24 MR. PFEIFFER: Good afternoon. The volume
25 okay?

1 CHMN STAFFORD: Excellent, thank you.

2 MR. PFEIFFER: Thanks for the opportunity.

3 My name is Michael Pfeiffer. My wife Mary and I have
4 property in what's known as Greens Peak Hideaway. We're
5 130 lots surrounded by national forest. Off the grid.
6 And a stone throw from where this project -- stone's
7 throw south of where this project is slated to begin.

8 We bought these properties for three
9 primary reasons: Beauty, solitude, and climate. If this
10 project is allowed to proceed, we're going to lose two of
11 them. It's going to affect our quality of life.

12 Other concerns we have are the possible
13 effect of those transmission lines and subsequent
14 turbines may affect our communications. Currently our
15 cell phone service up there is just a bit short of
16 sensational, and we need that, frankly in the case of
17 emergency. And we need emergency people to be able to
18 find us. They said we're a little bit out there in the
19 woods.

20 I'm not an MBA by any stretch of the
21 imagination, so I'm probably going to make my ignorance
22 public here, but I'm having a real hard time
23 understanding Repsol's business plan.

24 What I'm understanding is if we build this,
25 they will come. If we find the funding to build this

1 it's going to be great. If we can find out how to get
2 that power from these turbines over to the station, oh,
3 that would be good, too. If we can find customers to
4 take this, boy, now we're real good. A lot of ifs in
5 there.

6 We as a community invited Repsol out to
7 express our concerns and have them look at the hideaway.
8 They subsequently refused us. To give you an idea what
9 the hideaway is, to enter our property you would take
10 3123 which is the road where the proposed substation and
11 the terminus of that transmission line will be.

12 I would encourage you to when you're taking
13 that tour tomorrow and you're at 3123 to scan that
14 horizon from east to south to west.

15 Granted it's not the best it's ever been
16 because of the drought, but it's still gorgeous country.
17 I want you to scan that horizon and I want you to think
18 about transmission lines and substations and 600-foot
19 turbines and think about what that will do to our quality
20 of life.

21 If any of you want to come into the
22 hideaway we would entertain you coming, be glad to
23 receive you. Thank you.

24 CHMN STAFFORD: Thank you. Up next we have
25 Jerry Campeau, C-a-m-p-e-a-u. And please correct me if

1 that's not pronounced correctly.

2 MR. CAMPEAU: It's pronounced correctly.

3 CHMN STAFFORD: Thank you.

4 MR. CAMPEAU: Thank you. Good evening,
5 Chairman and Committee. I'm a 33-year resident of
6 Springerville, Arizona. I retired from White Mountains
7 Regional Medical Center as the CEO in 2012.

8 And while I can't speak for the hospital,
9 the ambulances, or emergency services, my background and
10 experience tells me that we have a serious infrastructure
11 problem. And that is that we have a highway that is
12 almost nonfunctional. This construction project, I
13 oppose.

14 The interconnection and the solar farm
15 itself on the basis that the ambulances who have to use
16 that highway for fixed land transport out of our area can
17 be impacted negatively as that highway becomes congested
18 over a two-year construction project.

19 We all know because we experience what
20 happened when they hauled the blades and the turbines and
21 the equipment across that same highway to get to
22 New Mexico. And we all suffered the delays that
23 ambulances can't -- cannot sustain.

24 As a result, I'm not opposed to the project
25 itself, if it were sited elsewhere in a more rural area.

1 But I believe this project destroys our environment, our
2 health and safety, which is part of our environment, and
3 it will not add anything to the community of material
4 value. Thank you.

5 CHMN STAFFORD: Thank you. Up next we have
6 Don Fogle, F-o-g-l-e.

7 MR. FOGLE: Good evening. I'd like to
8 thank you, the Committee, and all of you for allowing us
9 to share our thoughts about this project and the
10 renewable energy. And I really appreciate all the
11 comments that have been shared up to this point.

12 My name is Don Fogle and my wife and I live
13 in Show Low and we moved up here from Phoenix 24 years
14 ago. I was born in Phoenix in 1942 when the population
15 was around 100,000, and I remember blue skies and air was
16 clear for many years. I've lived through dramatic
17 changes and have seen Phoenix grow to over one and a half
18 million people.

19 I've seen major climate change and
20 increased pollution. Phoenix and all of Arizona
21 including here have gotten much hotter as you who live up
22 here know.

23 With this growth has come increased demand
24 for power and also water. I support clean, renewable
25 energy. To replace nonrenewable polluting energy sources

1 like coal we must look to the future and use new
2 technologies.

3 Solar and wind energy are renewable and
4 clean and the source is free. You don't have to mine for
5 it, drill for it, or transport it. It's already here.

6 They don't contribute to climate warming
7 and pollution. True, they have an impact on wildlife,
8 but the impact can be reduced with designing the solar
9 and wind farms.

10 With that in mind, like many of you I care
11 a lot about wildlife, the impact on wildlife from climate
12 change and coal-powered plants and the border wall are a
13 much greater threat to wildlife than wind and solar
14 farms.

15 And one of the most common criticisms of
16 renewable energy source like wind and solar is that they
17 harm birds. This is a valid concern and shouldn't be
18 taken lightly, but the truth is that the number of birds
19 killed by renewable energy sources is a small fraction of
20 the number killed by coal plant emissions actually and
21 even windows and cats. And I can attest to that because
22 we have a cat who goes after birds.

23 Of course, wind and solar can't provide for
24 all the power needs and has to exist along with other
25 methods. Power generation, but those should be clean

1 energy sources. Apache and Navajo Counties have existing
2 facilities to distribute the power generated here. It
3 makes sense to continue to use these for new wind and
4 solar and other clean energy developments.

5 It's true that this project isn't where I
6 live, but honestly, even if it was, I would much rather
7 have clean air and clear skies with wind and solar farms
8 nearby than something like a coal-powered plant with
9 pollution and hazy skies. We need to go forward, not
10 backward.

11 Thank you for listening respectfully, and
12 it's good that we all have this opportunity to share our
13 thoughts.

14 CHMN STAFFORD: Thank you. Up next we have
15 Donna Shurwin, S-h-u-r-w-i-n.

16 MS. SHURWIN: Good evening. Thank you for
17 listening to us this evening. I live in Pine South
18 Lakeside. I've been coming to the White Mountains for
19 55 years, I've lived in Pinetop for 30 years, and I do
20 appreciate that you're here to hear everybody's views.

21 There's a project in Navaho County where I
22 live, which is just right next door. And I have been
23 against it myself for over a year and a half, and I know
24 that there's people in the Springerville-Eagar area that
25 are not happy to have the Lava Run come in.

1 To me, when I think that there would be
2 contemplation to allow the building of facilities that
3 only operate on average 25 percent of the time and whose
4 supplies come from outside of America 75 percent of the
5 what I've understood the wind turbines and solar panels
6 are brought in from China, to me it's insulting that this
7 would even be considered first of all for that and second
8 of all just for the fact that it only operates 25 percent
9 of the time to be able to gather wind and solar energy.

10 Right now, the coal plants, the technology
11 has turned around, it's not as poisonous if you would
12 like to say that as Mr. Fogle said just a second ago.

13 Personally I don't think having 600-foot
14 wind turbines on the vista and the landscape that we have
15 to look at here in the White Mountains is any better than
16 having pollution, and I know again the coal plants are
17 very clean anymore. And I know there's a lot of people
18 who don't want coal mined either, so there's a big
19 disconnect on that.

20 But this is our area. Tourism is our
21 industry. We have the playground of Pinetop Lakeside and
22 Show Low. Springerville-Eagar, the White Mountain Apache
23 tribe, we're the playground for Tucson, we're the
24 playground for the Phoenix area. And for you to come in
25 here or the Lava Run project to come in here and build

1 these big monstrosities and then go away and leave us
2 with the ramifications and our progeny, our children, our
3 lives, those of you who are going to make these decisions
4 and don't live here, it's -- I guess it's just something
5 that I would say is to please consider empathetically,
6 put yourselves in our shoes, we don't want to see these
7 monstrosities, and especially when they don't even
8 operate.

9 I wish the truth would come out on that
10 one, because to me it's pretty embarrassing, it's as if
11 you were to build a house and add electricity, and it
12 only operated 25 percent of the time. I mean, how
13 efficient would that be. So anyway, sorry to ramble, but
14 I just wanted to make sure that you do put yourselves in
15 our shoes and understand that this is really going to
16 disrupt our area. Thank you.

17 CHMN STAFFORD: Thank you. Up next we have
18 Lloyd Johnson.

19 MR. JOHNSON: Hello, I'm Lloyd Johnson,
20 candidate for state senate, Legislative District 6, which
21 covers this beautiful community of Apache County. I look
22 forward to coming out here as part of my duties to see
23 this beautiful area. I do not want to look through those
24 nasty wind turbines or those power lines.

25 The rural economy is very fragile and it's

1 dependent upon tourism. Tourists come out here to see
2 these beautiful elk. We get these turbines in, we'll
3 lose the elk. The only elk we're going to see is this
4 beautiful stuffed elk out here in the lobby. The
5 vibration and the noises spook them away. And they -- it
6 keeps them away from the areas that are crucial for
7 grazing.

8 People come out here to watch the elk.
9 Look at the open spaces. They're not going to want to
10 come out here and see these giant wind turbines and these
11 power lines. The power lines will vibrate and hum and
12 that'll spook the animals and the birds also.

13 The danger of fires from wind turbines as
14 well as these power lines is high. And the rural fire
15 districts, there's no way they can address properly a
16 fire from the giant wind turbines. All they can do is
17 stand them, watch them burn until part of it hits the
18 ground and then they can go put it out. That's on the
19 ground. Otherwise, they're just standing there watching
20 thick, black smoke rolling right through the local
21 communities.

22 You guys probably don't live right here, so
23 you probably won't be affected by that thick black smoke.
24 These people here, they will be 100 percent directly
25 affected by any black smoke from any of these wind

1 turbine fires. We don't need this mess.

2 That's take care of my notes right there.
3 Still got a little bit of time. But I look forward to
4 serving these people in this fantastically beautiful
5 community. It's one of the most beautiful parts of the
6 state. And don't just drive through. Enjoy. Relax.
7 Stop and grab a burger at one of those mom-and-pops.
8 Talk to the people, the locals. There are some fantastic
9 people here.

10 While you're here, take advantage of that.
11 Don't just rush through when you're looking at just going
12 for a drive through. Take the time to really appreciate
13 these fine folks. Care enough for their community to
14 come out here on their own time. And I see these people
15 all over the community, all over the region. They take
16 time out of -- they can be doing other things.

17 CHMN STAFFORD: Thank you, Mr. Johnson.
18 Time is up.

19 MR. JOHNSON: Thank you.

20 CHMN STAFFORD: All right. Up next we have
21 Fred Moreira, M-o-r-e --

22 MR. MOREIRA: No, I'm not speaking.

23 CHMN STAFFORD: Oh, you don't wish to
24 speak? Okay. Then we have David Whitley, W-h-i-t-l-e-y.
25 Did you wish to speak?

1 MR. WHITLEY: No.

2 CHMN STAFFORD: No. And then I think it's
3 Rhonda Whitley, but you also do not wish to speak?

4 Then we have Tim Grubbs, G-r-u-b-b-s, who
5 does wish to speak.

6 MR. GRUBBS: Mr. Chair, Members of the
7 Committee, thank you for being here today and giving me a
8 little time to speak. Also thank you for everybody
9 that's here obviously. I have a difference of opinion
10 from a lot of people that spoke today. But I do -- I'm
11 pleased that there are so many people participating in
12 this civic process. Right? We're all here participating
13 in that process and making our voices known.

14 Generally I'm a supporter of renewable
15 energy. I'm here mostly to listen, learn more about this
16 project. Some of the things that the local information
17 has brought up. I'm interested in seeing y'all work
18 through that stuff.

19 I know a lot of it can be mitigated and is
20 mitigated on a lot of these projects. We have several
21 Midwestern states that are majority powered by wind
22 energy right now. So it's a viable technology.

23 Let's see. The things I do know about the
24 project, you know, I think you all are more aware than me
25 that energy demand is just spiking after decades and

1 decades of flat growth. So we need more energy
2 generation. And what are the implications of projects
3 not being sited, you know, right now, it's, you know,
4 it's potentially, what are the implications?

5 Brownouts, blackouts in Phoenix
6 potentially, you know, losing that AI arms race to China.
7 I don't see of any leadership slowing down on that. So
8 we're kind of stuck in the situation. I prefer this
9 technology.

10 Places with contiguous land that are close
11 enough to transmission infrastructure are kind of in the
12 demand context that we're in are kind of rare.

13 So, and we do have the conversation where
14 in a lot of areas where people ask, you know, why can't
15 you build this somewhere else. That does come up a lot.
16 This is undoubtedly a beautiful area. Apache County has
17 a lot of beautiful areas and I think that people are
18 going to continue to come to Apache County whether
19 there's a wind farm or not.

20 But it is -- they are rare, and so the
21 impact of if one place says we can't site projects here,
22 that's not a problem. But if we start to see it in
23 Yavapai County, Mohave County, Pinal County, Cochise
24 County, and all of a sudden we're in a serious bottleneck
25 situation for energy demand.

1 So that's kind of the problem I see. I do
2 empathize with a lot of the comments here, but it's all
3 done in a context and there is a context of a lot of
4 energy land, sited on state land I think, sometimes we
5 think of public lands as just being there for, to look
6 pretty.

7 This land happens to be -- you know, it's
8 in the enabling act of the constitution. It's there for
9 the state to benefit those 13 beneficiaries which are
10 public schools, prisons, universities, so it is a
11 different type of public land.

12 CHMN STAFFORD: Thank you, Mr. Grubbs.

13 MR. GRUBBS: Thank you, Mr. Chair.

14 CHMN STAFFORD: That concludes the
15 public making comment in the room. Now let's move
16 towards the Zoom. I believe we have Linda Weiland,
17 W-e-i-l-a-n-d.

18 Can you please unmute? You have three
19 minutes. You're still on mute. I can see you're still
20 muted.

21 MS. WEILAND: Hi. I'm Linda Weiland from
22 Eagar. I object to the draft certificate of
23 environmental compatibility filed by the applicant. The
24 CEC application does not include adequate information
25 required by the Arizona Administrative Code to allow the

1 committee to make an informed finding of environmental
2 compatibility, and the proposed conditions of approval
3 are inadequate to support the proposed findings of fact.

4 The interconnection project actually begins
5 at the Springerville Generating Station and runs two
6 miles to serve the proposed 450-megawatt Lava Run solar
7 and battery storage project resulting in 225 megawatts of
8 transmission per project mile with minimal environmental
9 impacts.

10 From there continues 27 additional miles to
11 serve the Lava Run wind project, resulting in
12 transmission of only 18.5 megawatts per project mile at
13 significant construction costs that will be paid by
14 ratepayers and multiple negative environmental impacts.
15 Hmm. 225 megawatts per mile solar versus 18 megawatts
16 per mile wind.

17 The 27 western miles to the project are to
18 accommodate the wind project which is proposed in an
19 inappropriate location. For over a year hundreds of
20 local residents have attended meetings and written to
21 Repsol detailing various environmental concerns with the
22 proposed wind project location.

23 The application -- the applicant has not
24 considered alternative locations to reduce project
25 impacts, although ample state trust land is available in

1 locations with less habitat value closer to existing
2 transmission infrastructure.

3 Nor has the applicant made significant
4 effort to mitigate the project's locations impacts.

5 Minimization measures proposed in the
6 application are minimal at best. And the proposed
7 condition of approval for the CEC only commit to those
8 measures listed on page C-15 and 16 and D-43, 44 of the
9 application and only as applicable and feasible.

10 The CEC should be denied based on the
11 factors to be considered in the Arizona Revised Statutes
12 based on significant environmental impacts which are not
13 mitigated and unique areas of biological wealth.

14 CHMN STAFFORD: Thank you, Ms. Weiland.
15 That's your three minutes up.

16 I'm getting some overlap there on the
17 audio. I'm sure I'm butchering your name. It's a little
18 small for me to read on the screen here in front of me,
19 too. With the AZ Technology Council.

20 Can you please state your name and spell
21 your last name for the record.

22 MR. ALIZADEH: Yes. Absolutely, sir. My
23 name is Cepand Alizadeh, A-l-i-z-a-d-e-h is my last name.
24 And as you said, I am with the Arizona Technology.

25 Thank you to everyone who has spoken

1 tonight so far. Thank you to everyone for engaging in
2 this important civic process.

3 So we at the Arizona Technology Council, we
4 support the proposed interconnection project that will
5 tie the Lava Run Wind and Solar project. It's a key and
6 necessary addition to TEP and Arizona's electrical grid.

7 Once built, Lava Run will bring clean,
8 reliable power and economic benefits to northern Arizona,
9 which is an area of our state that is experiencing
10 tremendous growth. It's an area of the state that needs
11 energy from all types of sources.

12 From the Arizona Technology Council's
13 standpoint, Lava Run is a win-win for everyone. It will
14 boost local employment in the form of both construction
15 jobs and long-term operational and maintenance positions
16 for individuals of all different educational and
17 technical backgrounds. This will then also boost the
18 local economy in Apache County.

19 Let's also keep in mind that the developer
20 will be generating property and sales taxes which can
21 also unlock a multitude of local economic benefits.

22 So in conclusion let's not say no to jobs.
23 Let's not turn our backs on the funding for community
24 centers, senior centers and fire and medical rescue
25 departments.

1 Let's not say stop Lava Run. Instead let's
2 say we support Lava Run. Let's say we support progress
3 in northern Arizona. Thank you all very much. I
4 appreciate the time you have given me. Take care.

5 CHMN STAFFORD: Thank you.

6 Grace, do we have other commenters on the
7 Zoom? I'm seeing first names. Do they wish to speak?

8 AV TEAM MEMBER: Mr. Chairman, I've had two
9 more indicate that they wish to speak. The first is
10 Susan Anable.

11 CHMN STAFFORD: All right. Ms. Anable,
12 please spell your last name for the court reporter and
13 commence your comments.

14 MS. ANABLE: Thank you, Chairman Stafford.
15 My name is Susan Anable, my last name is spelled
16 A-n-a-b-l-e.

17 Mr. Chairman and Members of the Committee,
18 thank you so much for the opportunity for this public
19 input this evening. My husband Mike and I have both
20 submitted public comments online, so I won't repeat or
21 delve back into any of that, but ask you to please take a
22 look at those public comments.

23 We have been property and homeowners in
24 Apache County for over 25 years and have been recreating,
25 hunting, fishing, hiking in that area for more than

1 35 years.

2 And let me say we're not against green
3 energy projects, we think there is a place for them. We
4 think this proposed project is the wrong place for this
5 wind energy project. And let's be clear. Even though
6 this hearing is only about the line siting project, this
7 project would not be necessary if it weren't for the
8 construction of the Lava Run wind project. So I don't
9 think those things can be unlinked.

10 I think the bigger concern that I have is
11 that there's such a significant demand for energy in the
12 state of Arizona right now, it's not for demand for
13 energy in Apache County, this project is not going to
14 benefit the residents of Apache County with energy.

15 Nor is it going to benefit them with
16 significant job opportunities. And, in fact, to my
17 knowledge there's been no power purchase agreement signed
18 for where this power -- will go, but I think we all
19 understand that there is a huge power need in the
20 southwest, big cities, large data centers, and I think
21 for Apache County there's very little to be gained by
22 this project, very few jobs, significant destruction of
23 the local community and resources, and maybe 15 long-term
24 jobs.

25 I think the concern that we should all have

1 is the new mantra for energy production is all of the
2 above, but worst at all costs. We may need energy from
3 all resources, but with no consideration for the damage
4 and costs that will be incurred by the people and the
5 people who utilize and enjoy Apache County. From
6 wildlife to water resources, to scenic vistas and to the
7 cultural resources, there's nobody that's really
8 balancing consideration of those lost resources.

9 If you take the governor's executive order
10 at face value, the prioritization of all projects on
11 state trust land would suggest that that is exactly
12 what's going to happen. Projects on all state trust land
13 are going to get approved because we need power. Power
14 for who? Not for Apache County.

15 So I would suggest to you that this
16 committee and the ACC are the parties responsible for
17 striking this balance of considering this balance of
18 considering the environmental impacts of this project.

19 And we want you to do your job, consider
20 all of the facts, all of the data, and consider whether
21 or not the benefits of this project that will profit a
22 foreign company and generate power for those outside of
23 Apache County and likely outside the state of Arizona,
24 are worth the destruction of our beautiful resources and
25 our precious resources.

1 Repsol has not evaluated wind projects
2 anywhere else on state trust land in Apache County or
3 elsewhere to our knowledge. We ask you to please ask
4 them to do this before moving this project forward.
5 Thank you, Mr. Chairman.

6 CHMN STAFFORD: Thank you, Ms. Anable.

7 Grace, do we have additional people online
8 to make comment?

9 AV TEAM MEMBER: Mr. Chairman, the other
10 member of the public who indicated they wished to speak
11 is Leslie Bowdoin James.

12 CHMN STAFFORD: How do you spell that last
13 name?

14 AV TEAM MEMBER: Bowdoin is B-o-w-d-o-i-n.
15 Then separately James, J-a-m-e-s.

16 CHMN STAFFORD: All right. Is she unmuted
17 and ready to make comment?

18 MS. BOWDOIN JAMES: Yes. I am. Can you
19 hear me?

20 CHMN STAFFORD: Yes. Please proceed.

21 MS. BOWDOIN JAMES: Thank you so much. My
22 name is Leslie Bowdoin James. I submitted comments in
23 writing on October 14, so I'm not going to reiterate all
24 of the comments that I submitted there. I wanted to
25 reinforce and support some of the comments I heard this

1 evening.

2 In particular, a little bit of background.
3 I'm a fourth-generation native. I was one of the
4 granddaughters of William B. Eagar, namesake of Eagar.
5 I'm a home and property owner of about five miles out of
6 Springerville along the Little Colorado, and although I
7 was born in Phoenix, my mother, my sister were all born
8 in Eagar.

9 I also have 47 years of career experience
10 with electric utilities in this state. So I do have a
11 pretty workable understanding of what should be and
12 shouldn't be considered during the potential siting of
13 transmission and power project facilities in this state.

14 My views on this proposed interconnection
15 and gen-tie is that it is not timely for the reasons I've
16 cited in my comments. I have not heard or seen about
17 much collaboration or consultation with particularly the
18 Zuni tribe and maybe some of the other tribal nations in
19 the region. The lands are sacred to them, the lands and
20 the waters.

21 And I'm also concerned in large part about
22 the economics that have been presented to the members of
23 the community. I'm sure the members of the community do
24 not have the ability to have their own independent
25 analysis done.

1 But I also wanted to underscore the actions
2 taken recently by the Springerville and the Eagar town
3 councils opposing the project.

4 Thank you for the opportunity to speak. I
5 planned to be there but I had a business meeting here in
6 Phoenix and I couldn't get up there. I appreciate your
7 time. Thank you.

8 CHMN STAFFORD: Thank you.

9 AV TEAM MEMBER: Mr. Chairman, we do have
10 one more who indicated they wish to speak, and that is
11 Amy Butcher, B-u-t-c-h-e-r.

12 CHMN STAFFORD: Ms. Butcher, please make
13 your comments.

14 MS. BUTCHER: Yes. Okay. Thank you. I
15 don't have something formally prepared, but after hearing
16 the hearing -- the entire hearing today, and the
17 speakers, I just wanted to make a couple things clear
18 that weren't mentioned.

19 I am part of the White Mountain Save Open
20 Spaces Group, and we have been studying wind farms for a
21 couple years now and the impacts that they have. And the
22 things that are not green about them.

23 But one other thing that we have studied is
24 I want to make it clear when you guys do your tour
25 tomorrow and when you're talking about state land being

1 used, it's a checkerboard of state land.

2 So a lot of these windmills would be on
3 state land, but interspersed with that is ranch land and
4 residences and people's lives. So keep that in mind when
5 you're looking at the map. I didn't really see on the
6 maps today the checkerboard pattern. I don't know if
7 they really emphasized that.

8 I made a bunch of comments online as well
9 so I won't reiterate that. And then there's also one
10 other point I wanted to make that I didn't hear brought
11 up today, and that is the fact about the airport that we
12 have in Springerville. We have had several pilots and
13 officials write to the FCC, I think I have that acronym
14 right, that those wind farms would interfere with traffic
15 patterns. There's a lot of heavy winds going across the
16 area that's proposed, and it would really interfere and
17 cause dangerous circumstances for a lot of pilots and the
18 air traffic.

19 I don't see why we need 29 miles of power
20 lines there when you could just do a few miles over near
21 the Springerville power plant and just move the whole
22 project over there.

23 So those are my comments, and I would urge
24 you to vote no on putting up high power lines on
25 Highway 60. Thank you for your time.

1 CHMN STAFFORD: Thank you.

2 AV TEAM MEMBER: Mr. Chairman, that is
3 everyone who has indicated to us that they wish to make
4 comment.

5 CHMN STAFFORD: All right. Well, thank
6 everyone for coming out and participating in the process.
7 We appreciate when the public comes to give us their two
8 cents on projects that are before this committee.

9 I just want to remind everyone that the
10 wind and the solar project are not before the committee,
11 our jurisdiction extends only to the gen-tie line.

12 However, the relevance of the wind and
13 solar project are tangential to what we're doing here
14 with the gen-tie line because the purpose of that line is
15 to connect those to the grid.

16 Thank you everyone for coming. We will
17 recess until tomorrow morning at nine a.m. We will
18 reconvene here at which point we will begin our tour.

19 That's it. We're in recess.

20 (Proceedings recessed at 6:44 p.m.)

21

22

23

24

25

1 STATE OF ARIZONA)
)
2 COUNTY OF MARICOPA)

3 BE IT KNOWN that the foregoing proceedings were
4 taken before me; that the foregoing pages are a full,
5 true, and accurate record of the proceedings, all done to
6 the best of my skill and ability; that the proceedings
7 were taken down by me in shorthand and thereafter reduced
8 to print under my direction.

9 I CERTIFY that I am in no way related to any of the
10 parties hereto nor am I in any way interested in the
11 outcome hereof.

12 I CERTIFY that I have complied with the ethical
13 obligations set forth in ACJA 7-206(F)(3) and
14 ACJA 7-206(J)(1)(g)(1) and (2).

15 Dated at Phoenix, Arizona, October 28, 2025.

16
17
18 

19 _____
20 JENNIFER HONN, RPR
21 Arizona Certified Reporter
22 No. 50885

23 I CERTIFY that GLENNIE REPORTING SERVICES, LLC, has
24 complied with the ethical obligations set forth in
25 ACJA 7-206(J)(1)(

26
27 

28 _____
29 GLENNIE REPORTING SERVICES, LLC
30 Arizona Registered Firm
31 No. R1035